

1 In the Matter of Determining Patient's Compensation
2 Fund Surcharge Rates for Calendar Year 2026

3
4 Docket No. 2025-0010

5
6
7 Moderated by Dr. William Ritchie, M.D., FAAOS,
8 Chairman of PCF Advisory Board

9 Tuesday, September 30, 2025

10 2:09 p.m.

11
12
13 New Mexico Office of Superintendent of Insurance
14 6200 Uptown Boulevard Northeast, Suite 400
15 Albuquerque, NM 87110

16
17
18
19
20
21 Reported by: James Cogswell

22 JOB NO: 7461555
23
24
25

A P P E A R A N C E S

List of Attendees:

Dr. William Ritchie, M.D., FAAOS, Chairman of PCF
Advisory Board

Kathleen J. Love, Vice Chair of PCF Advisory Board

Vincent Ward, Attorney for PCF Advisory Board (by
videoconference)

Ray M. Vargas II, Member of PCF Advisory Board (by
videoconference)

Troy Clark, Member of PCF Advisory Board (by
videoconference)

Michael Dekleva, Member of PCF Advisory Board (by
videoconference)

Roman Martinez, Member of PCF Advisory Board (by
videoconference)

Nick Autio, J.D., Member of PCF Advisory Board

Robert J. Walling III, Principal and Consulting
Actuary, Pinnacle Actuarial Services

Stephen Thies, General Counsel for OSI

Frances Gallegos, Law Clerk, Office of Legal Counsel,
OSI

Gloria Regensberg, Office of General Counsel, OSI

Joseph Herrera, Office of General Counsel, OSI

Christian Myers, Chief Actuary, OSI

Patricia Salazar, OSI

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S (Cont'd)

List of Attendees:

Annie Jung, M.Ed., New Mexico Medical Society

Debbie Luera, Director of Operations, Integrion Group

Jennifer Fetherolf, Integrion Group

Raquel Baca, Observing

Robert Dourette, Observing

Juan Montano, Observing

Karen Tiegler, Observing

Luis Molina, Observing

Jenica Cortese, Observing

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

E X H I B I T S

NO.	DESCRIPTION	PAGE
Exhibit A	Resume - Robert J. Walling III	11
Exhibit B	New Mexico PCF Actuarial Analysis, 12/31/24	13

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

DR. RITCHIE: We will start the meeting. So to the court reporter, please go on the record.

THE REPORTER: We are on the record.

DR. RITCHIE: Thank you.

Good morning. I'm Dr. William Ritchie, and I am the Advisory Board Chair. We are now on the record in OSI Docket Number 2025-0010, titled, In the Matter of Determining Patient's Compensation Fund Surcharge Rates for Calendar Year 2026, I believe it's supposed to say.

Today is September 30, 2025. The time is 1409. We're located today at 6200 Uptown Boulevard Northeast, Suite 400, Albuquerque, New Mexico.

This hearing is also being conducted via Teams videoconference and by telephone as noticed in the Order Scheduling Hearing to Determine Patient's Compensation Fund Surcharge Rates, filed into the OSI e-Docket on June 27, 2025.

Because this hearing is being conducted by videoconference and by telephone, I ask all those participants on the videoconference or telephone to mute your microphones or telephone until if called upon, please. This will ensure that the court

1 reporter can make a clean record and that all
2 participants can hear the proceedings.

3 If you are attending via
4 videoconference or telephone, I'll ask anyone that is
5 not identified by name to please identify yourself by
6 your full name and the organization you represent so
7 we may, again, have a complete record of attendance
8 for this hearing. You may do so by either updating
9 your name in the meeting or by typing your name in the
10 chat function.

11 I also ask that all members or
12 presenters please speak toward the microphone so we
13 may all hear you and, most importantly, so the court
14 reporter may hear you. Before you give your comment,
15 please state your name for the record. There may be
16 times when I or the court reporter will ask you to
17 slow down or repeat something so we may make a correct
18 and complete record of today's hearing. Thank you all
19 for your patience.

20 Could we please call the roll for the
21 members of the committee?

22 MR. THIES: Troy Clark.

23 MS. LUERA: I -- I've got it, if you --
24 Fran, if you're having trouble, I can get it.

25 MS. GALLEGOS: Yeah.

1 MS. LUERA: Okay. Chairman Ritchie.
2 DR. RITCHIE: Present.
3 MS. LUERA: Vice Chair Love.
4 MR. CLARK: I am -- I'm here to the
5 extent I have a signal.
6 MR. AUTIO: That was Troy Clark, for
7 the record.
8 MS. LUERA: Oh, okay.
9 Vice Chair Love.
10 MS. LOVE: Here.
11 MS. LUERA: Mr. Clark. We've
12 established he's here.
13 Mr. Autio.
14 MR. AUTIO: Here.
15 MS. LUERA: Mr. Dekleva.
16 MR. DEKLEVA: I'm here.
17 MS. LUERA: Mr. Vargas.
18 MR. VARGAS: I'm here.
19 MS. LUERA: Ms. Starace.
20 MS. LOVE: She resigned.
21 MS. LUERA: Oh, I'm sorry. That's
22 right.
23 Mr. Roman Martinez.
24 MR. MARTINEZ: I'm here.
25 MS. LUERA: And Alben Martinez also

1 resigned, and I do not have the name of the new
2 person, but it looks like we do have a quorum.

3 DR. RITCHIE: Thank you. So it appears
4 that we have a quorum. So this event is called to
5 order and let us proceed, please.

6 Mr. Walling? Who's starting?

7 MR. THIES: I -- I will start.

8 DR. RITCHIE: Okay. Thank you.

9 MR. THIES: Okay. Thank you, Mr.
10 Chairman. My name is Stephen Thies. I'm General
11 Counsel for the Office of Superintendent of Insurance.
12 What I'll be doing today is examining --

13 DR. RITCHIE: Speak up a little.

14 MR. THIES: Okay. What I will be
15 doing -- maybe you want to move that right here.

16 MS. LUERA: I don't -- are you able to
17 hear through that?

18 MR. AUTIO: That's not going to help
19 him.

20 MS. LUERA: I don't think that helps
21 with the court reporter, though. Move the microphone
22 over? Will that help?

23 UNIDENTIFIED SPEAKER: Pause for
24 technical difficulties.

25 MR. THIES: Okay. I'll start over.

1 Okay. Thank you. In case you didn't get it, my name
2 is Stephen Thies. I'm the General Counsel for the
3 Office of Superintendent of Insurance.

4 What I will be doing today is examining
5 Mr. Rob Walling, who is the actuary from Pinnacle
6 Actuarial Services, the firm that prepared the
7 analysis that was presented to you.

8 And the -- and that report will be used
9 by you in determining your recommended rates that will
10 go to the Superintendent of Insurance. You need to
11 make the recommendation to the superintendent in order
12 for her to pass the final rates by October 31.

13 Before -- first thing I'd like to do is
14 address Mr. Walling's background. So if you could put
15 his resume and his CV up on the board.

16 MR. WALLING: Go to the middle one.

17 MS. GALLEGOS: No. That's the report.

18 MR. WALLING: I know. Go to the
19 report.

20 MR. THIES: Oh, wait. I think --

21 MR. WALLING: And then select the tab
22 with the resume. Up at the top.

23 MS. GALLEGOS: Okay. I'm sorry.

24 MR. WALLING: It's the middle one.

25 Yep.

1 MS. GALLEGOS: That's the report.
2 MR. WALLING: I know.
3 MR. THIES: Try the bottom one.
4 MR. WALLING: You just need to get to
5 the --
6 MR. THIES: Whoa, whoa, whoa.
7 MR. WALLING: The resume's just hiding
8 under that pin.
9 DR. RITCHIE: Oh, there it is.
10 MR. THIES: There you go. Right there.
11 No, no, no.
12 MS. GALLEGOS: This thing just is not
13 working.
14 MR. WALLING: Can I borrow the mouse
15 for just a second?
16 MS. GALLEGOS: I can't get to it.
17 DR. RITCHIE: I know.
18 MR. THIES: There. Okay.
19 MS. GALLEGOS: Okay. Sorry about that.
20 It just wouldn't let me in there.
21 MR. THIES: Anyway, just scroll down so
22 everyone can take a look at it. Can everyone see
23 that? Can they see it online? Can you see Mr.
24 Walling's resume?
25 MS. GALLEGOS: Can you all see this?

1 UNIDENTIFIED SPEAKER: Yes, we're
2 seeing it.

3 DR. RITCHIE: Someone online? Yeah.
4 Thank you.

5 MS. GALLEGOS: Okay. They're seeing
6 it.

7 MR. THIES: Okay. Are there any
8 questions regarding Mr. Walling's background and
9 experience?

10 DR. RITCHIE: No.

11 MR. THIES: Hearing none, I would offer
12 his resume into the record of this proceeding as
13 Exhibit A.

14 (Exhibit A was marked for
15 identification.)

16 MR. THIES: Now, if you could go to the
17 report. Go way to the very first page. The other
18 way. Go down a little more. First page. Oh. Missed
19 over the top.

20 MS. GALLEGOS: Right here?

21 MR. THIES: One more page up.

22 MR. WALLING: To the cover letter.

23 MS. GALLEGOS: Okay, got it.

24 MR. THIES: Keep going. Oh, we have
25 the -- okay. There we go. There we go. No, no. One

1 page up.

2 MR. THIES: All right. Mr. Walling, do
3 you recognize this document?

4 MR. WALLING: I do.

5 MR. THIES: Can you describe the
6 document for us?

7 MR. WALLING: It's the report
8 summarizing the data methods and assumptions that
9 contain our findings and recommendations for the New
10 Mexico Patient's Compensation Fund.

11 MR. THIES: And what was your role in
12 preparing this report?

13 MR. WALLING: I -- I authored the
14 report. I oversaw the staff that did the data
15 preparation in the Excel spreadsheets. Ultimately,
16 this is my report.

17 MR. THIES: Okay. Now can you scroll
18 down to page 7? So it'd actually be probably 9, 10
19 since we have the -- keep going down. Down. Down.

20 MS. GALLEGOS: Right here?

21 MR. THIES: Page 7. Right there. Off
22 towards the bottom.

23 MR. THIES: Mr. Walling, there's four
24 bullet-point items on the bottom of that page. Is
25 this the -- the tasks that you performed in preparing

Page 12

1 this report?

2 MR. WALLING: Yes, it is. Those are
3 the -- the elements of scope within our analysis and
4 within our report.

5 MR. THIES: And based on your training
6 and experience does the -- does that enable you to
7 perform those tasks?

8 MR. WALLING: It does.

9 MR. THIES: And I -- at this time I'd
10 move to offer Mr. Walling as qualified actuarial
11 expert in the subject of the report and to offer
12 expert testimony.

13 I don't hear any objections and offer
14 that as Exhibit B.

15 (Exhibit B was marked for
16 identification.)

17 MR. AUTIO: None.

18 MR. THIES: Okay. In preparing this
19 report, what did you utilize in the way of data?

20 MR. WALLING: A number of different
21 data elements provided by either OSI or Integrion,
22 the -- the third-party administrator for the program,
23 including historical assessment data, historical
24 claims data, rate filings that were filed and approved
25 by OSI.

1 I'm trying to think. External data
2 related to medical inflation rates in the State of New
3 Mexico from the Bureau of Labor Statistics, data that
4 is very similar to what we've used for this study for
5 most of the last two decades.

6 MR. THIES: Thank you.

7 Can you scroll up to the first page of
8 the text? Keep going. If you -- there's no page
9 number on it.

10 MR. WALLING: Stop. Down.

11 MR. THIES: No. No. Down. Down.
12 Right there.

13 MR. WALLING: Right there.

14 MR. THIES: Go way to the bottom.
15 Go -- right. Stop. Okay.

16 Mr. Walling, there's -- on the bottom
17 of this page, there's a section entitled "Unpaid
18 Claims Liability." It also appears later on page 11
19 of the report, on page, the following page it
20 references in this table --

21 MR. WALLING: Actually, I'm going to --
22 can I pause you for a second?

23 MR. THIES: Sure.

24 MR. WALLING: For folks in the room
25 working from the hard copy, the printer played -- that

1 did not accurately print to hard copy what's in my
2 PDFs. So we're -- we're going to have a little bit of
3 a struggle between the hard copy and the PDF. So I'm,
4 I'm going to try and keep us on screen and consistent
5 with the original PDF that was delivered to the board.

6 DR. RITCHIE: So the original PDF is
7 correct?

8 MR. WALLING: It's -- yeah. It's
9 literally just a printer error where you end up with
10 multiple exhibits on the same page. The printer
11 didn't recognize the print page breaks in the PDF, so.

12 MS. LOVE: Recycling.

13 MR. WALLING: Yeah.

14 MS. LOVE: Recycled.

15 MR. THIES: Okay. Again, going back to
16 the "Unpaid Claims Liability," and it continues on,
17 that narrative continues on page 2.

18 In the table on the bottom of that
19 narrative, it says "Reserves," but this area is
20 entitled "Unpaid Claims Liabilities," there. Why is
21 there a difference in the nomenclature?

22 But in the actuary profession there are
23 subtle differences in terminology between loss
24 reserves and unpaid claims liabilities. In this
25 particular circumstance, they can be used

1 interchangeably.

2 So when we're talking about unpaid
3 claims liabilities, that's the language that is used
4 for admitted insurance companies. It's -- it's a
5 current term of phrase.

6 The more generally accepted longer term
7 phrase is "loss and loss adjustment expense reserves"
8 but you can use them interchangeably here.

9 MR. THIES: Okay. Now -- then I got to
10 go over the contents of that table. It's divided into
11 two categories, "Independent Physicians and Surgeons,"
12 and the second category is "Hospitals And Outpatient
13 Healthcare Facilities," which is abbreviated as OHFC.
14 And is that correct?

15 MR. WALLING: Yes.

16 MR. THIES: Okay. And that table also
17 reflects Estimated Ultimate Reserves for the
18 Independent Physicians and Surgeons of \$82,463,038.

19 MR. WALLING: Yes.

20 MR. THIES: And that was of 12/31/24?

21 MR. WALLING: It is.

22 MR. THIES: Can you describe what you
23 mean by the phrase "Estimated Ultimate Reserves"?

24 MR. WALLING: So when actuaries think
25 about insurance claims or benefits payments, we think

1 about those elements that have already been paid
2 separately and distinctly from those that are unpaid
3 or they're still loss reserves, if you think about an
4 insurance company or an insurance program's balance
5 sheet.

6 And so if you add the paid and the --
7 the expected reserves together, you get ultimate.
8 Ultimate is the -- the totality of what we think it's
9 going to take to resolve all of the claims that have
10 occurred as of December 31st of 2024 on a nominal
11 basis. So those are the dollars that are going to be
12 paid out, whether it's tomorrow or 30 years from now.

13 MR. THIES: In the middle of that
14 table, we see reserves of 12/31/23. So that would be
15 the reserves and -- as that would -- would have been
16 reflected in last year's report?

17 MR. WALLING: Correct. So those should
18 match the prior year's report. By organizing the
19 table this way -- and it's organized again in the
20 "Fund Summary," page 1, a few pages back -- it gives
21 us a chance to examine the differences between our
22 analysis as of 12/31/23 and our analysis as of
23 12/31/24.

24 Remember, as of 12/31/23, there is not
25 yet any obligation to the PCF for claims that occurred

1 during 2024.

2 So you've got two moving pieces here.
3 You have new claims coming on that occurred during
4 2024. You also have claims that were settled during
5 2024 from prior years. And so the PCF kind of giveth
6 and taketh away; that you -- you pay the claims that
7 bring the reserves down, but the new claims that have
8 occurred during the year, roll on and increase
9 reserves.

10 And so part of what we're looking at
11 here is -- is exactly that give and take. Claims
12 resolved from prior years, but also the impact of new
13 claims rolling on.

14 MR. THIES: And just -- and at the very
15 far right hand, there's a difference. And so the
16 estimated ultimate reserves is, that's reflected up
17 there is what?

18 MR. WALLING: It's literally just the
19 change caused by those two effects. And so you'll see
20 that for the hospitals over in that difference column,
21 the -- the estimated ultimate reserves have gone up by
22 \$45.873 million, whereas the ultimate reserves for the
23 physicians and surgeons have only gone up by 3.8.

24 And later on in the -- in the exhibits,
25 we get into some more detail about what's causing the

1 changes in -- in the two elements of the PCF.

2 MR. THIES: All right. You had already
3 referenced a line -- all the independent physicians
4 and surgeons, that's the hospitals and the outpatient
5 healthcare facilities, the reserves as the close of
6 that '24 calendar year and then prior reserves and
7 close of '23 and then the difference.

8 And then the -- so the bottom line is
9 the total of both independent physicians and surgeons
10 and hospitals and OHCFs; is that correct?

11 MR. WALLING: Correct. So if you think
12 about the -- the PCF like an insurance company, that
13 bottom left-hand number, that \$342.556 million, would
14 be the estimate that I would provide to the PCF for
15 what it would take to take all of the claims
16 obligations that are all currently the PCF's
17 responsibility as of year-end '24 to get those claims
18 to an ultimate settlement basis.

19 MR. THIES: And now, can you jump
20 ahead? It would be page -- we got two -- go to page
21 33.

22 MR. WALLING: Actually it's 31.

23 MR. THIES: Yeah. Go back up two
24 pages. What we just went through, all that is those
25 numbers that were in that table reflected on this fund

1 summary?

2 MR. WALLING: Correct. So the top half
3 of this table is exactly the table you just saw, where
4 we show the Ultimate Loss Reserves or Unpaid Claims
5 Liabilities in Column 1.

6 In Column 2, we show those same
7 reserves discounted for the time value of money. In
8 other words, the investment income that the PCF is
9 going to realize between the end of 2024 and the time
10 the claim is paid.

11 And then in Column 3, we increase the
12 level of statistical confidence to a 75 percent
13 confidence level.

14 In Column 4, we compare that to the
15 current fund balance just to show if there is
16 currently an indicated deficit between the indicated
17 reserves and the fund balance.

18 MR. THIES: And what is the difference
19 right now as of --

20 MR. WALLING: For the physicians there
21 is -- there is not an indicated deficit. For the
22 hospitals and OHCFs on an undiscounted basis, the
23 deficit is about \$34.3 million. On a discounted
24 basis, that decreases to about 26.5 million.

25 MR. THIES: Can you explain to me what

1 you mean by "discounted basis"?

2 MR. WALLING: Sure. Let's say you and
3 I make an agreement that I'm going to pay you \$1,000
4 three years from now. If I want to put money into an
5 escrow account to pay you that \$1,000 in three years,
6 I don't have to put \$1,000 in. I -- I look at what
7 kind of investment return I would get on that escrow
8 account and the present value of that \$1,000 due three
9 years from now. Maybe it's \$890, you know, at a -- a
10 3.5 percent return.

11 But the idea of those discounted
12 reserves is that \$26.5 million invested will produce
13 enough investment income to actually pay off the
14 \$34.3 million in Column 5 when that money is due. So
15 we're essentially computing a present value of those
16 future claim payments.

17 MR. THIES: So present value would be
18 the discounted Column 6?

19 MR. WALLING: Correct.

20 MR. THIES: And then the discounted
21 75 percent, I assume that's not a good number? Why?

22 MR. WALLING: Well, here's the way to
23 think about it. I mean, that undiscounted value are
24 the actual nominal dollars that will be paid out at
25 some point. And we just said the present value is --

1 is 26.5.

2 That means that undiscounted number has
3 -- what? -- \$7.7 million, \$7.8 million of margin in
4 it. It's -- it's an implicit margin in that
5 undiscounted number. And so if we're going to remove
6 that, then it probably makes some level of sense to
7 add back in an explicit margin.

8 Historically, the way we've done that
9 for the fund is to show what those reserves would look
10 like at a 75 percent competence level. So if we
11 looked at 100,000, you know, different scenarios based
12 on the historical claims data, what would be enough
13 75 percent of the time?

14 In this particular case, it's a fairly
15 large margin because of the claim severity, but
16 increasing the reserves to a 75th percentile of
17 statistical confidence actually adds in a pretty
18 significant margin. So that's -- yeah. So we're --
19 we're -- essentially, we're offsetting the impact of
20 discounting by increasing the likelihood the reserves
21 are going to be enough.

22 MR. THIES: You -- you mentioned "claim
23 severity." What do you mean by that?

24 MR. WALLING: Claim severity is just
25 the average claim size. Because of the excess nature

1 of this program, the claims that come into the program
2 tend to be very large. As a result of that, it is not
3 an uncommon thing to -- to see claims that are kind of
4 larger than you would see for the primary carriers,
5 for the -- the TDCs and the MedPros writing the -- the
6 primary layer of coverage.

7 So it's just a larger average claim
8 size than you would see for the underlying primary
9 layer of coverage.

10 MR. THIES: Now, the indicated deficit,
11 undiscounted at \$34,291,587, what does that -- how --
12 what's the percentage of that that represents of a
13 fund balance?

14 MR. WALLING: Fund Balance is --
15 what? -- \$308 million give or take. So you're talking
16 about -- I'm doing math -- 10, 12 -- yeah. Probably
17 12 percent of the current fund balance.

18 MR. THIES: Is that good or bad?

19 MR. WALLING: It's certainly better
20 than it has been. So I -- I mean, it -- its
21 interest -- it's important to recognize as -- as board
22 members that this is not an insurance company. We --
23 we keep using insurance analogs, but a government
24 insurance program by its nature is fundamentally
25 different from an insurance company.

1 Having a huge fund balance surplus,
2 beyond the indicated reserves, isn't necessarily in
3 the best interest of the fund. It means your
4 experience has been so much better than the
5 assessments you've collected that at a certain level
6 you've kind of sort of overcharged.

7 If you look at Wisconsin PCF, they have
8 hundreds of millions of dollars of excess because
9 their claims experience has just been dramatically
10 better than their premiums or assessments.

11 So the -- the question of, is that
12 deficit good or bad? Any deficit is -- is less than
13 ideal. But getting back to a position where the fund
14 balance is sufficient to cover all of the outstanding
15 claims liabilities is certainly something we're
16 striving for. Let's put it that way.

17 MR. THIES: The \$34 million-plus
18 deficiency, has that decreased from the prior calendar
19 year?

20 MR. WALLING: I -- I certainly believe
21 so. Yeah. The -- the legislative infusions by
22 themselves should have improved that deficit position
23 pretty materially.

24 MR. THIES: And back to -- did you have
25 anything else you wanted to add?

1 MR. WALLING: No.

2 MR. THIES: Okay. Back to page 2 of
3 the report. Well, don't -- you don't need to --

4 MR. WALLING: Actually, can we just
5 stay here?

6 MS. GALLEGOS: Okay.

7 MR. THIES: Yeah. What I was going to
8 ask you about in that narrative, you note that the
9 "independent physicians and surgeons experienced an
10 adverse development" in '24 that impacted the extent
11 of the reduction. What was that adverse development?

12 MR. WALLING: Okay. I'm going to ask
13 you actually to go forward to page 37.

14 MR. THIES: The other way.

15 MS. GALLEGOS: This one?

16 MR. WALLING: Yep. Next one. There
17 you go.

18 So this is a more detailed -- this is
19 how we come up with that summary page that we were
20 just looking at. It's just organized by year. And I
21 bring this up to -- it -- it's the same thing, the
22 current year analysis, then the prior year analysis,
23 and then the difference.

24 The important thing to point out here
25 is -- here, I'm going to stand up. Over on the right

1 hand side here, where it says -- actually, right next
2 to the cursor where it says "PCF Paid Losses." Those
3 are the incremental losses that were paid out by
4 accident year during 2024.

5 And so you'll see that the 2018 and
6 2019 years had 10.4 million and \$11.2 million of
7 incremental losses paid out during the year. That
8 37 million total for all -- all prior years is really
9 high, right? If you look back here at -- at all of
10 these individual years, none of them are on an
11 individual basis anywhere near 37 million.

12 It was a lot of claims payouts. Now
13 because it's the '18, '19 years, is some of that COVID
14 pipeline clearing. There's a thousand reasons that we
15 could have that surge. But the bottom-line truth and
16 fact of the matter is there was a surge, and it has
17 caused me to increase the estimated ultimate losses.

18 Just to the left of that, you'll see
19 that the -- the ultimate losses for 2018 increased by
20 5.4 million; 2019, the ultimates increased by just
21 over 7 million. And so more than 60 percent of that
22 total ultimate loss increase of 20.9 million is
23 focused on those two years.

24 So when I make the comment in the --
25 the findings of the report that the adverse

1 development on the physician's portion of the program
2 kind of stymied some of the improvement, that's really
3 what I'm talking about, is that in this singular
4 calendar year, there was a higher than expected amount
5 of claims activity.

6 The impact of that higher claims
7 activity is that I took the ultimate losses up by
8 about \$20.9 million. Now -- everybody okay with that?
9 So physician, surgeons, lots of paid claims, ultimates
10 went up, reserves went up.

11 If you go to the next page, you'll see
12 the very same exhibit for the hospitals. Now for the
13 hospitals, it's a really interest -- a -- a different
14 story. If you look at that same "Paid Loss" column,
15 the PCF only paid out 21.6 million in losses during
16 calendar year '24.

17 Now, I take that 21 million and compare
18 it to these prior years. And those paid losses are
19 pretty good relative to my estimated ultimates.
20 They're actually on par with my paid losses for some
21 of those years.

22 As it turns out, I reduced the ultimate
23 loss estimates for the hospitals by about \$15 million.
24 And, again, there's a thousand different reasons why
25 the hospitals could have had better than expected paid

1 loss activity during this one calendar year.

2 But taking just that information into
3 account, resulted in me taking down some of these
4 ultimate loss estimates because it was less payment
5 activity than I expected. And so that \$15 million
6 improvement flows through the bottom line and actually
7 increases the fund balance.

8 So physicians, lots of paid claim
9 activity, adverse development on the loss reserves,
10 hospitals' favorable claim payment activity, and
11 actually improvement in the indicated reserve levels
12 is at a really high level summary.

13 If you scroll up two pages, you'll see
14 the combined effect of that. Nope, other way.

15 MS. GALLEGOS: Oh.

16 MR. WALLING: Other -- up.

17 MS. GALLEGOS: Right here?

18 MR. WALLING: Yeah. You'll see that
19 the 60 million -- 59 million paid out is actually
20 pretty much on par with recent years and ultimate
21 losses went up by about 5.8 million. But, honestly,
22 very much within expected kind of volatility or
23 variability.

24 So on a combined basis, the physician,
25 surgeons and -- and hospitals and outpatient

1 healthcare facilities had a pretty average year. It's
2 just that the claims activity was heavily focused on
3 the docs this year. And the hospitals, by and large,
4 had a -- a pretty quiet paid claim activity year.

5 MR. THIES: The claims activity, the
6 paid losses, can that be skewed between the physicians
7 and the hospital based on the settlement agreements
8 where they agree that hospitals may pay the -- the
9 recovery and instead of the physicians or vice versa?

10 MR. WALLING: Can be. We've looked at
11 that historically and, by and large, for a W-2
12 physician, the -- the choice has been made for the
13 claim to be born a hundred percent by the hospital.
14 Now, there's all sorts of potential reasons for that,
15 including NPDB reporting. I -- there's lots of -- of
16 reasons potentially for that.

17 But the bottom line truth and fact of
18 the matter is we're talking about 10, 12, 15 claims
19 that are very volatile, and it could be as simple as
20 verdicts coming out in December or January. So
21 there's a lot of things that can impact -- yeah --
22 could -- it -- it could be, you know, proposed
23 legislative changes do this sometimes; that you'll see
24 a surge or a slowdown in verdict activity.

25 So like I said, there's a -- there's a

1 thousand things that can impact claim payments for an
2 excess program like this one in any one calendar year.

3 MR. THIES: Okay. Now, before we get
4 into your recommended surcharges, can you describe for
5 the -- the board the methodology you used to calculate
6 the losses?

7 MR. WALLING: The losses are provided
8 by, I think, OSI.

9 MR. THIES: But how -- how do you
10 evaluate the loss?

11 MR. WALLING: Oh, sure. Actuaries use
12 a number of techniques that are all -- I -- I guess
13 I'll call them extrapolation techniques. It's like
14 estimating how big an iceberg is. You take the part
15 of the iceberg you can see and you use that to
16 estimate the part you can't see.

17 Well, what can we see? We can see the
18 paid claims activity. We can see the reported claims.
19 We can see the paid dollars. And so what we do is a
20 variety of different extrapolation methods based on
21 historical PCF settlement rates, historical PCF claim
22 reporting rates, claim closure rates.

23 So the -- the underlying premise here
24 is that you can use the past to predict the future,
25 subject to some adjustments.

1 So we were talking about claim
2 severities. Claim severities in the past are really
3 useful, but you've got to adjust them for inflationary
4 differences. You've got to adjust them for
5 differences in damage caps. You've got to adjust them
6 for kind of all the things that make next year
7 different than 20 years ago.

8 But, fundamentally, we're using a
9 number of different techniques: One that estimates
10 the number of claims closed with payment times an
11 average claim severity; one that just extrapolates the
12 paid dollars to date in aggregate to an ultimate
13 settlement basis; one that looks at the long-term
14 relationship between assessments and paid losses.

15 So we're using the four or five most
16 generally accepted actuarial techniques, but they are
17 all of a kind in the sense that they are all taking
18 the reported claim counts, closed claim counts, and --
19 and paid indemnity amounts and extrapolating them to
20 an ultimate settlement basis.

21 MR. THIES: And do you use the same
22 techniques for the hospitals that you use for the
23 physicians?

24 MR. WALLING: Generally, yes. We do
25 have one data limitation on the hospitals that change.

1 We -- we drop one method that we use for the
2 physicians from the hospitals, and it's simply a data
3 limitation, but it doesn't impact our analysis, I
4 don't think.

5 MR. THIES: Now, are physicians
6 classified based on their specialty in the report?

7 MR. WALLING: For the purpose of the
8 loss reserves, no. For the purpose of rate making,
9 yes -- or surcharge level. Yes.

10 MR. THIES: And could you go over to
11 page 68?

12 MS. GALLEGOS: Sixty-eight?

13 MR. THIES: Make sure -- yes. That
14 looks like it.

15 And there's two pages here. Those are
16 the current classifications of the physicians?

17 MR. WALLING: Correct.

18 MR. THIES: And -- go ahead.

19 MR. WALLING: The PCF has its own
20 classification system, which is based on industry best
21 practices. So we look to the class plans for leading
22 insurance carriers like TDC and MedPro, rate bureaus
23 like ISO, and developed an independent class specialty
24 plan.

25 The idea here is to try and provide

1 meaningful differentiation by the activities of the --
2 the healthcare provider. And you'll see what we do is
3 we actually compare the current PCF class plan and
4 class relativities.

5 If you'll scroll up just a -- just to
6 the top of the page. Yeah.

7 We compared the current class
8 relativities to the relativities of the Indiana and
9 Wisconsin PCFs, and also to the two leading primary
10 medical professional liability carriers in New Mexico
11 to see if there are any indicated changes.

12 And just one last thing. You'll see
13 most of these Class 1 specialties are non-invasive.
14 They're very low severity risk. It's very intuitive
15 that a nutritionist or a -- somebody involved in
16 geriatrics on a non-surgical basis would have a very
17 low PCF risk.

18 If you go down the bottom of that
19 table. So go down to the bottom of the next page.

20 MS. GALLEGOS: Are you talking about
21 this page?

22 MR. WALLING: Yeah. Stop.

23 Equally, the -- the classes that have
24 high relativities that are in Class groups, 5, 6, 7,
25 8, 9, 10, are also pretty intuitive.

1 When you're talking about OB-GYNs with
2 surgery, or Neurology with surgery, or vascular
3 surgery, or thoracic surgery, you're -- you're talking
4 about surgical classes that unfortunately that do have
5 the potential for things to go wrong.

6 And so what we've tried to do is look
7 at what the leading carriers in the State of New
8 Mexico are doing, but also what other leading PCFs are
9 doing to come up with what we think is an actuarially
10 reasonable class plan for the PCF.

11 MR. THIES: Are you making any
12 suggestions to change --

13 MR. WALLING: No changes this year.
14 Normally we jiggle 3, 4, 5 classes and, you know, move
15 one up or one down. No changes this year.

16 MR. THIES: Can you scroll up to 42?

17 MS. LOVE: Is it appropriate to ask a
18 question about that?

19 MR. THIES: Yeah. Go ahead.

20 MS. LOVE: Mr. Walling, the -- when you
21 say that you looked at what the leading carriers in
22 New Mexico are doing in terms of coming up with these
23 rates, can you tell me what data you have at your --
24 available to you to do that?

25 MR. WALLING: Sure. We have the most

1 recent filed and approved rate filing for those
2 carriers that includes their classification factors.
3 So we're -- we're starting from what medical
4 protective and the doctor's company submitted to OSI
5 for review.

6 MS. LOVE: Okay. So do you have
7 premium amounts, or do you just have classifications
8 and risk?

9 MR. WALLING: We have the
10 classification table that defines their class. We
11 have their filed class factors. We also have the
12 experience underlying those class factors.

13 So not detailed claims data, but when
14 they choose to change classes, we get to see loss
15 ratio relativities or pure premium relativities that
16 support their decision to assign a given specialty to
17 a given class.

18 MS. LOVE: So would you mind dumbing
19 that down for me a little bit?

20 MR. WALLING: Sure.

21 MS. LOVE: When you talk about a
22 classification table, we're -- we're talking about
23 something similar to what we have in front of --

24 MR. WALLING: Very similar.

25 MS. LOVE: Okay. And then when you say

1 "filed class factors," what are those?

2 MR. WALLING: Those are -- so if they
3 file, say, a base rate of \$5,000, their rating
4 algorithm, their premium determination algorithm, will
5 say take that \$5,000 rate, base rate, times the
6 physician's specialty factor.

7 It's just like State Farm has a base
8 rate for a car, and if your car happens to be a Toyota
9 Corolla, you multiply it by the -- the class factor
10 for that Toyota Corolla. Same thing here. MedPro has
11 a base rate, and they also have a -- a class factor
12 for each physician specialty, just like this.

13 MS. LOVE: Okay. And then when you say
14 you have information about the experience underlying
15 those class factors, what -- what does that data look
16 like?

17 MR. WALLING: Well, basically any
18 carrier in New Mexico, or any other state, has to
19 provide sufficient documentation when they change
20 class factors to meet the standard, that the rates
21 they're filing can't be unfairly discriminatory.

22 So the standard is -- and it's an
23 actuarial standard as well, that OB-GYNs can't be
24 subsidizing heart surgeons. And so they have to
25 demonstrate, based on the data they have available,

1 that these class relativities that they're filing in
2 New Mexico don't have any -- essentially any bias in
3 them and any classes that are going to be more
4 profitable than others or less profitable than others.

5 MS. LOVE: Thank you.

6 MS. GALLEGOS: Forty-two?

7 MR. THIES: Hold on a minute.

8 MS. GALLEGOS: Okay.

9 MR. THIES: Classifications for
10 physicians, is there something comparable for
11 hospitals?

12 MR. WALLING: No.

13 MR. THIES: So hospital is zero?

14 MR. WALLING: I mean, there's a rating
15 plan. We don't go through an analysis of the -- the
16 rating plan for the hospitals.

17 MR. THIES: Okay. Let's go up --

18 MR. WALLING: There actually is one for
19 the outpatient healthcare facility.

20 MR. THIES: Yeah. Let me see. I
21 believe --

22 MR. WALLING: On page 4 of the report.

23 MS. GALLEGOS: Four?

24 MR. WALLING: So probably page 8 of the
25 PDF.

1 MS. GALLEGOS: Okay.

2 MR. WALLING: Yeah.

3 MS. GALLEGOS: Okay.

4 MR. WALLING: So here are the rates for
5 the -- for the outpatient healthcare facilities.
6 These have been adjusted for the appropriate coverage
7 limits. They've also been adjusted for inflationary
8 trend; otherwise, they haven't been changed.

9 So literally we've -- we've trended it
10 forward for one year of CPI, and we've adjusted it for
11 the -- the cost of living adjustment in the PCF cap.

12 MR. THIES: Can you explain this a
13 little more in detail? Like, the first one, the
14 "Cardiac Rehabilitation Centers, Exposure Type Per 100
15 Visits"?

16 MR. WALLING: Sure.

17 MR. THIES: So we, in assessing the --
18 the rate to that type of facility, we would determine
19 how many visits they had in the calendar year?

20 MR. WALLING: Correct. And so an
21 "Exposure Type" is just simply a way to measure risk.
22 Typically, for physicians, it's full-time equivalents.
23 However, some specialties or some types of practice
24 that are very transactionally heavy will actually be a
25 number of visits.

1 But the idea is that a -- a cardiac
2 center that has 1,000 visits has more risk than one
3 that has 100 visits. For your homeowner's policy,
4 this is the insured value of your house because a
5 half-million-dollar house has more loss potential than
6 a quarter-of-a-million dollar house.

7 And so what we've shown here are
8 industry best practices for the exposures for each of
9 these outpatient types. You'll notice that the
10 quality control labs, the pathology labs, it's not as
11 easy to measure visits. And so it makes more sense in
12 the lab setting or the X-ray setting to measure based
13 on receipts rather than number of visits.

14 So pretty much everybody in this list
15 is using visits unless there's a lab situation where
16 the historical revenues just make a better measure of
17 risk.

18 MR. THIES: Okay. You can jump ahead
19 to Exhibit 4. It would be 42 -- correct? -- 42.

20 MR. WALLING: Yeah. It's 42.

21 MR. THIES: Okay. Can you describe
22 this page for us, Exhibit 4?

23 MR. WALLING: Sure. So this is a
24 summary of the pricing recommendations for the
25 Independent Physicians and Surgeons, which you will

1 see in Columns 1, 2, and 3 are the three elements of
2 our indicated rate change.

3 Column 1 is the "Indicated Assessment"
4 based on the historical claims experience for the
5 program.

6 Column 2 is any proposed changes to the
7 class plan. We just said there aren't any, so that
8 there's no indicated change there.

9 Column 3 is a -- a separate reflection
10 of the cost of living adjustments. So the cost of
11 living adjustment is a legislated item. In this
12 particular case, it increases the PCF non-medical
13 damage cap to \$658,779 excess of a quarter of a
14 million dollars. That's literally just doing the math
15 legislated in -- in the Medical Malpractice Act.

16 The impact of that increase is a need
17 to increase surcharges by 2.1 percent.

18 MR. THIES: And that each year there's
19 going to be an additional increase in that because of
20 the -- of the inflation?

21 MR. WALLING: Yeah. Essentially each
22 year you're providing more coverage.

23 MR. THIES: Okay. Now, in the --
24 Column 4, essentially --

25 MR. WALLING: Four is just the

1 multiplication of one through three.

2 MR. THIES: Okay. And then the last
3 column?

4 MR. WALLING: So 5 is the -- the
5 calculation of recouping surcharge. As we showed on a
6 summary exhibit, there is no indicated surcharge for
7 the physicians and surgeons, so there's no deficit
8 surcharge. And so Column 4 and Column 6 are
9 identical.

10 MR. THIES: And the last, Column 6,
11 that's what you're recommending?

12 MR. WALLING: It's just the
13 multiplication, yes.

14 MR. THIES: Okay.

15 MR. WALLING: Sorry.

16 MR. THIES: And can you explain what
17 you mean by "with risk margin"?

18 MR. WALLING: Sure.

19 It's how you add the -- it's how you
20 multiply percentages.

21 DR. RITCHIE: Right. Because zero
22 percent multiply by zero, you get zero.

23 MR. WALLING: Correct.

24 DR. RITCHIE: But it's -- you add one.

25 MR. WALLING: When -- when you multiply

1 percentages -- so if you take, you know, 25 percent of
2 a hundred -- a 25 percent increase on 120 percent,
3 you -- you take the 1.2 times the 1.25. So you --
4 it -- you got to go one plus. It's noted in the
5 footnotes. The footnotes for 4 and 5 and 6 both
6 highlight that we're adding unity.

7 DR. RITCHIE: Yes. Right.

8 MR. THIES: Okay. So the risk margin,
9 with risk margin, what's -- there's big -- a big
10 difference.

11 MR. WALLING: Sure. So just like with
12 the reserves, where you can look at the reserves with
13 and without a risk margin, you can also look at
14 funding with and without a risk margin.

15 Again, historically we've been asked to
16 produce rate indications on a nominal basis and at a
17 75 percent level of confidence. You'll see to --
18 to -- for the assessments to be enough, 75 percent of
19 the time, you need more of an increase. That makes
20 sense, right?

21 So, essentially, the "With Risk Margin"
22 Row is -- is to give you an indication of how much
23 more assessments would have to increase to be
24 confident 75 percent of the time that they were enough
25 to pay all claims.

1 And, actually, if you'll scroll to the
2 next page -- so, actually, do me a favor. Sorry. I'm
3 going to make your life miserable. Scroll back up to
4 that page.

5 MS. GALLEGOS: Okay.

6 MR. WALLING: The first Column 1 you'll
7 see is 13.6 percent without risk margin. So keep that
8 13.6 in mind for a -- for a hot minute.

9 Now scroll down.

10 What we've done is looked at the last
11 ten years of experience for the PCF. And we've taken
12 the historical surcharges, brought them to a current
13 value based on the historical changes that -- that
14 you've made. So if you restated all of the historical
15 surcharges to the current surcharge table, that's what
16 the dollars would have been collected.

17 Similarly, Column 3 is my ultimate
18 losses from the reserve study. We have to up -- we
19 have to adjust them for the current coverage limits to
20 get you to those trended ultimate losses. And that
21 produces a loss ratio.

22 And you'll see 2018, 2019 are pretty
23 miserable. We collected seventeen, eighteen million
24 dollars' worth of surcharges. And in today's dollars
25 we would have paid out almost 40 million.

1 Yeah. You'll remember those are also
2 the two years that had the big development this
3 calendar year. So when those losses finally came to
4 roost, we saw a \$22 million worth of additional
5 development on those years. It was bad.

6 What we've selected is that we think
7 going forward, the current surcharges will produce a
8 loss ratio down in Row 7 of about \$123 million -- or
9 123 percent.

10 UNIDENTIFIED SPEAKER: Good grief.

11 MR. WALLING: Scroll down to the bottom
12 half of the page.

13 Starting with that 123 percent expected
14 loss ratio, we think to cover all of your loss
15 adjustment expenses, all of your administrative
16 expenses, that you really need -- in Row 13 -- you
17 really need \$21.9 million when you're currently only
18 projected to -- to collect 19.3 million. So
19 essentially there's about a \$2.5 million delta, \$2.6
20 million delta, between the surcharges we expect you to
21 collect and what you need to cover costs.

22 To get that 2.6 percent -- or
23 \$2.6 million increase, you need to increase your --
24 your assessments by about 13.6 percent.

25 MR. THIES: Okay.

1 MR. WALLING: So that's where the 13
2 percent -- 13.6 percent in the prior table comes from.

3 MR. THIES: Well, if you could scroll
4 down to Exhibit 6, that would be -- there we go. Hold
5 right there.

6 Can you explain this page for us?

7 MR. WALLING: Sure. You'll notice
8 there is no cost of living factor adjustment. There's
9 also no class change adjustments. So this table looks
10 a lot like Exhibit 4, page 1, but it's simpler.

11 In this case, all we're showing for
12 those first few columns is the "Indicated Assessment
13 Change" in Column 1. There's no increased limits
14 factor change. And so Column 3 is just the product of
15 1 and 2.

16 However, in this case, we do have a
17 deficit surcharge situation, where we're trying to
18 recoup some of that deficit, you know, on the -- the
19 timeframe that we're on. And so Column 5 are the
20 proposed surcharge changes that reflect both the
21 experience in Column 1 and the deficit recoupment in
22 Column 4.

23 MR. THIES: That deficit recoupment,
24 that's the \$34 million that we're --

25 MR. WALLING: Correct. Yep.

1 MR. THIES: And then the second line.
2 What --

3 MR. WALLING: Sure. So let's talk
4 about the 2.6. Remember, hospitals had very much
5 lower claims payments than we expected. Ultimate
6 losses came down 20 million. It was a good number.

7 So if we go to the next page, what
8 you'll see is that the loss ratios in that 2018, 2019
9 period, those early years when most of the hospitals
10 were rolling on -- it's important to remember that
11 these are kind of -- what was going on in the PCF in
12 2016, '17 isn't what was going on in 2019.

13 In 2016, I was doing individual loss
14 picks for Presbyterian and St. Vincent's. They were
15 the first two in, and we were developing their
16 assessments based on their historical claims
17 experience. And things kind of morphed and evolved in
18 2017, '18, '19.

19 Those first couple years, the
20 experience was not great. And then the experience, so
21 far, looks pretty good; 2018, '19 and '20, so far, the
22 loss ratios actually look pretty good. However, '21,
23 '22, '23, and '24 still look pretty hot. We've
24 selected a long-term average loss ratio of 111.3
25 percent.

1 We can go through the same exercise,
2 where Row 8 is the projected surcharges of
3 \$68 million, 68.7 million. The income requirements
4 down in Row 13 are 70.47 million. To get that
5 incremental \$1.7 million, \$1.8 million, you need to
6 increase -- if you'll scroll down just one more row --
7 you need to increase assessments by 2.6 percent.

8 So the 2.6 percent is literally just
9 how you get from the current surcharge revenue of
10 \$68.7 million to the indicated need of 70.47. So,
11 yeah.

12 MR. THIES: In coming up with your
13 recommended surcharges, do you take into account any
14 investment income?

15 MR. WALLING: The discount that's shown
16 in Column 11, discounts for the time value of money
17 based on the historical claim payment patterns for the
18 PCF.

19 There is a really important
20 distinction. When we discount reserves, discounting
21 reserves, you're talking about a balance sheet item,
22 right? You're talking about assets and liabilities on
23 a balance sheet. And so the investment income that is
24 being generated on the reserves has to have invested
25 assets supporting it, right?

1 So if I say reserves are \$380 million,
2 just as an example, and I only have, let's just say
3 230 of that invested, then giving you credit for
4 \$380 million worth of invested assets would actually
5 be overstating the time value of money. You're not
6 generating investment income on funds if they're not
7 invested. So we adjust the discount on the reserves
8 to match the invested assets on the balance sheet.

9 However, for the -- forward looking for
10 next year's assessments, that same kind of adjustment
11 doesn't make sense. The idea here is that every
12 dollar you collect in surcharge assessments, or in
13 assessments, could/should/ought to be invested
14 immediately. It ought to be invested.

15 And so that 0.838 is the full-time
16 value of money benefit of investing all of this the
17 day you collect it until you pay the claim. So we
18 give full credit for the time value of money in the
19 rate indication. So we're giving 16.2 percent
20 discount off of indicated surcharges there in Row 11,
21 assuming, essentially, that every penny of surcharge
22 revenue that's collected will be invested in such a
23 way that it produces an average annual return of 3.5
24 percent.

25 MS. LOVE: So if it's not invested,

1 then is this throwing off the numbers for next year?

2 MR. WALLING: Then these assessments
3 are low, yes. Yep. Yeah.

4 Yeah. And it's -- I mean, discounting
5 the indicated surcharges by 16.2 percent, that's a
6 material assumption. If you don't have that, then you
7 need to increase the surcharges by another, whatever
8 the inverse of that is, probably 18 percent.

9 But, yeah, the -- the time value of
10 money assumed for next year's surcharges is a pretty
11 critical assumption here. And the idea that they will
12 be invested is -- is an important underpinning of this
13 analysis.

14 But I wanted to make sure the board
15 understood, the way we do this on the reserves,
16 largely due to accounting and -- and actuarial
17 standards, is different than the way we do it on the
18 rate making.

19 On -- on the reserves, we only give you
20 credit for the assets that are invested. For the
21 rates, we give you full credit for the time value of
22 money. So slight difference in -- in methods and
23 assumptions.

24 MR. THIES: Directing your attention to
25 line 12, can you explain that?

1 MR. WALLING: Sure. And it's actually
2 back in the work papers. We work with OSI staff and
3 TPA staff to look at five years of historical "Loss
4 Adjustment Expenses," in Row 10, and "Office Expenses"
5 in Row 12. We also talk with them pretty -- in a
6 pretty detailed manner about expected budget.

7 And so what we're trying to reflect in
8 here are the expense loads that we expect to be in
9 place next year. So -- and -- and you'll see. I
10 mean, we're talking about loss adjustment expenses
11 that are 3.6 percent of losses paid -- that's quite
12 low -- and office overhead that's just barely
13 1 percent of surcharges.

14 This is one of my favorite things about
15 PCFs. It's one of the things I brag about PCFs. They
16 are extraordinarily efficient. If you compare those
17 to TDC or MedPro, which isn't a fair comparison, you
18 are getting 95 cents of every surcharge dollar paid
19 out as benefits. That's extraordinary. That -- that
20 the PCF is an incredibly efficient mechanism, and it's
21 really demonstrated here in how low the loss
22 adjustment expenses are and -- and how low the
23 overhead is.

24 MR. THIES: So your recommendation to
25 the board for the independent physicians and surgeons

1 would be Exhibit 4, page 1, that would be 16 percent
2 with risk margin --

3 MR. WALLING: Oh, without.

4 MR. THIES: Or without risk margin.

5 MR. WALLING: Yep.

6 MR. THIES: And 25.6 percent with the
7 risk margin?

8 MR. WALLING: Correct.

9 MR. THIES: And then for the -- let
10 me --

11 MR. WALLING: Just scroll up to the
12 page right before this.

13 MS. GALLEGOS: Right here?

14 MR. WALLING: Right there. Thank you.

15 MR. THIES: And then for the hospitals,
16 your recommendation without risk margin was 25.7
17 percent?

18 MR. WALLING: And I think we're
19 actually -- I -- I don't -- correct me if I'm wrong,
20 but I think we actually do this in two pieces; right?

21 We actually increase the -- the
22 assessments by Column 3, and then the deficit
23 surcharges are what they are on top of the
24 assessments.

25 MR. THIES: Yes.

1 MR. WALLING: I -- I think it's really
2 kind of a split decision.

3 DR. RITCHIE: Right.

4 MR. THIES: And then if they included
5 the with risk margin, the rate change would be 11.1
6 percent and total of 36.1 percent?

7 MR. WALLING: Correct.

8 MR. THIES: And 22.5 percent would go
9 towards the deficit?

10 MR. WALLING: Yep.

11 MR. THIES: Do you --

12 MR. WALLING: And that 22.5 percent is
13 documented up in the summary as well. It basically
14 shows a two-year amortization of the hospital deficit
15 as a -- a way of recouping that before they sunset.

16 MR. THIES: A question that maybe did
17 not consider in preparing the report. You realize the
18 hospitals are statutorily going to come out of the
19 program at the end of the '26 calendar year?

20 MR. WALLING: Correct.

21 MR. THIES: How's that going to impact
22 the --

23 MR. WALLING: It affects those deficit
24 surcharges.

25 MR. THIES: And --

1 MR. WALLING: Do me a favor. Go up to
2 page 31.

3 MS. GALLEGOS: Okay.

4 MR. WALLING: So what you'll see down
5 at the bottom of this page is that deficit surcharge
6 is only amortized over the next two years. So
7 basically that -- that hole has to be filled in the
8 next two cycles.

9 MR. THIES: And what do you mean by
10 that -- that deficit surcharge, if they approve that,
11 it would reduce the deficit by the time they get out?

12 MR. WALLING: Correct.

13 MR. THIES: Do you have anything else
14 you want to add about your report?

15 MR. WALLING: About the report, no.

16 MR. THIES: Okay. Questions?

17 DR. RITCHIE: I do. I -- I'll start
18 off. Now, this -- all these figures, the -- this
19 collections, they're paying for the excess losses for
20 the two -- now 900,000 excess of 250,000; correct?

21 MR. WALLING: Correct.

22 DR. RITCHIE: And future medical?

23 MR. WALLING: Yes.

24 DR. RITCHIE: Okay. So there's been --
25 what if there's been a change in how the future

1 medical is paid out, as in there were previously
2 lump-sum payments and it changes to not lump-sum
3 payments or if percentage between the two radically
4 changes? How will that change this? Or can you
5 account for that?

6 MR. WALLING: It's a -- it's a tricky
7 thing and -- and I don't, I mean, tricky in an
8 underhanded way. Just it is a difficult thing to
9 quantify. We've dealt with this in workers'
10 compensation and large auto liability claims and
11 medical professional liability for decades.

12 Is a structured settlement worth more
13 or less than actually paying out those actual benefits
14 over time? And it's a very difficult thing as an
15 actuary to say categorically that one is better than
16 the other. It's -- it's based on the -- the data we
17 have available.

18 It's -- it's very difficult to suggest
19 that shifting away from lump-sum settlements into more
20 kind of actual payments is better or worse. It does
21 put a lot more leverage and a lot more pressure on
22 your investment income.

23 DR. RITCHIE: That was going to be my
24 question.

25 MR. WALLING: So I'll -- I'll give the

1 example of the Virginia Birth Injury Fund, where
2 they're paying out lifetime medical, lifetime wage
3 loss, lifetime housing and vehicle allowances,
4 lifetime medical and hospitalization, on an actual
5 basis instead of on a structured settlement basis.

6 They need to generate investment income
7 on their funds to keep up with medical technology and
8 new life-changing surgeries.

9 And so shifting away from structured
10 settlements into that paying, kind of, as you go, adds
11 more potential volatility as it relates to the life
12 expectancy of the patient. It adds volatility due to
13 medical inflation and medical technology.

14 You know, are we going to be talking
15 about exoskeletons for -- for quadriplegics ten years
16 from now? Are there going to be new gene therapies to
17 deal with some of these issues? Are we growing
18 nerves?

19 So there's a tremendous amount of
20 pressure added by all of that new uncertainty as
21 compared to a lump-sum settlement.

22 But the flip side is it also presents
23 opportunity. If -- if you can generate investment
24 income on the invested assets of the PCF, it actually
25 gives you an opportunity to fill some of that deficit

1 hole by producing good investment returns.

2 Virginia Birth Fund typically produces
3 investment returns 6, 7, 8 percent annually because
4 they know they don't need that money for 30 or 40
5 years.

6 And -- and so there's a lot more
7 challenge, there's a lot more volatility and
8 variability. It makes my job harder because I don't
9 have that lump-sum settlement in my data anymore. And
10 now I've just got a little annual incremental payment.

11 So it -- it's -- it's more challenging,
12 and it's certainly not without risk for the reasons
13 I've already mentioned. But it also means that PCF
14 holds that money for longer and maybe it -- yeah.
15 And -- and that has a -- a lot of -- of different
16 impacts.

17 DR. RITCHIE: So now that we're
18 investing more, doing better job investing
19 theoretically with our funders; we're investing more
20 money with it. And that would be to the advantage of
21 not having lump sums because you have that money over
22 time.

23 MR. WALLING: I -- I would call it a --
24 a critical first step.

25 DR. RITCHIE: Right.

1 MR. WALLING: To -- to be shifting away
2 from lump sums into annual payments, or periodic
3 payments, having those assets invested is just
4 absolutely imperative.

5 DR. RITCHIE: And -- just one quick
6 thought.

7 MS. LOVE: No. I'm sorry.

8 DR. RITCHIE: And also then what you
9 just said with the changes in -- in costs, medical
10 costs going up, new technology, et cetera, the
11 lump-sum payment potentially will result in a lot less
12 going to the -- the injured patient, certainly in the
13 long run, than they would have gotten or maybe have
14 needed to get.

15 MR. WALLING: The -- the risks
16 associated with lump-sum payments and the myriad of,
17 you know, "I want my money, and I want it now," and --
18 that -- that is well documented. I -- I don't think I
19 need to go down that road.

20 But there are certainly risks
21 associated with lump-sum settlements and those injured
22 patients having the funds to get the care that they
23 need 10, 15, 20 years from now.

24 DR. RITCHIE: Right.

25 Yes?

1 MS. LOVE: And just to -- to address
2 your point, I'll also tell you anecdotally that most
3 patients purchase annuities for their future -- future
4 meds. They will invest --

5 DR. RITCHIE: With their lump-sum
6 payment you mean?

7 MS. LOVE: With their lump-sum
8 payments. They will invest so that they have that
9 money making money for their future needs. But -- but
10 Mr. --

11 MR. WALLING: As long as they're not
12 talked into one of those ads that I just mentioned, so
13 I --

14 MS. LOVE: Yes. And those are
15 terrible. I -- I agree, but they -- they should not
16 be doing that.

17 But -- so my question to you about the
18 future meds is -- is -- first of all, were you able to
19 tell from the data that you were provided, is our OSI
20 investing the surcharge money as soon as it comes in
21 and as robustly as what you see in Wisconsin and other
22 places?

23 MR. WALLING: It is still very much a
24 work in progress. I've been working with OSI staff to
25 identify investment managers. I've directed them to

1 some people that I know that do a great job of
2 managing the assets of similar programs around the
3 country. So I -- I would describe it as a work in
4 progress.

5 MS. LOVE: Okay. And if the past
6 years' actuarial studies have assumed investments that
7 didn't happen, is that -- does that contribute to the
8 deficit?

9 MR. WALLING: Is it a factor that
10 causes the fund balance to be less than we would have
11 projected? Yes. I know that's not quite the question
12 you asked.

13 MS. LOVE: Which then means we have to
14 collect more in order to make up for what we didn't
15 collect versus what we paid out.

16 MR. WALLING: There's all sorts of
17 reasons the cash flows in any given year could be
18 different. As we saw, the docs paid out a lot of
19 claims this year. You can't invest that money. The
20 hospitals didn't, so you can invest more money.

21 So there's a lot of -- in any insurance
22 program, in -- in any government quasi insurance
23 program, there are a number of factors that affect the
24 actual cash flows of the program relative to what was
25 projected.

1 MS. LOVE: Sure.

2 MR. WALLING: And -- and you know,
3 somebody that invested heavily in '07, '08, '09
4 certainly didn't get the return they anticipated. I
5 spent 18 months listening to investment managers
6 apologize for bond returns during and after COVID.

7 Most -- most of these programs are 80
8 percent bonds or more, and bonds got hammered during
9 COVID. So just because you're not investing, that's
10 not the only variable here.

11 MS. LOVE: Understood. But it's one of
12 them.

13 MR. WALLING: Sure.

14 MS. LOVE: Okay. And then when you're
15 considering -- when you're doing your risk assessment,
16 do you -- how are you able to look at future meds
17 payouts? Because when cases are settled and future
18 meds are to be paid on an as-incurred basis, and I
19 know we have a lot more patients in the fund who are
20 taking advantage of that.

21 How do you know what has to be set
22 aside and accounted for, for those future meds? Do
23 you have -- is that data provided to you?

24 MR. WALLING: We're still in really
25 early days of this change, but let me paint a picture

1 for you of what it looks like.

2 In New York or Virginia with my -- my
3 patient comp -- or my Birth Injury Funds, we have
4 detailed information about each -- each participant in
5 the program: their age, their mobility status,
6 whether they're wheelchair bound or not, whether they
7 have a GI feeding tube, things like that.

8 Then on a participant-by-participant
9 basis, based on their life plan, their life
10 expectancy, their historical benefits payments, we
11 estimate the future benefits payments for each
12 participant.

13 So I could certainly see a scenario
14 down the road where we're doing detailed modeling, but
15 a lot of second-injury funds for work comp do the same
16 thing, where you take these severely injured workers
17 and you model out, based on their current life
18 expectancy and their current condition, what you
19 expect their future medicals to be.

20 But we're still -- we're -- we're still
21 a ways from that, but it's -- it's where we're going
22 to need to be skating towards.

23 MS. LOVE: So in past years, and
24 including this year, when you're looking at expected
25 future payouts, you have no idea how much to account

1 for future meds?

2 MR. WALLING: I don't --

3 MS. LOVE: Is that right?

4 MR. WALLING: I don't agree with that
5 characterization.

6 MS. LOVE: Okay.

7 MR. WALLING: We're doing all of our
8 reserving in the aggregate, so we're not looking at
9 individual participants or individual claims. We're
10 looking at the data in aggregate.

11 The aggregate data can tell us that
12 claims payments are slowing down because fewer people
13 are taking the structured settlements and more are
14 taking, you know, the ongoing payouts.

15 They can show us shifts in the
16 underlying claims data, and we're seeing it. We're
17 seeing that claims benefits are being paid out longer.
18 We're already seeing that in the data.

19 So we're already -- even though it's,
20 in my mind, still fairly early in this trend -- we're
21 already seeing it impact our analysis. It's just that
22 the methods and assumptions we're using are looking at
23 the data in aggregate rather than looking at it on
24 a -- a participant-by-participant basis.

25 MS. LOVE: May I have a little

1 indulgence to ask a little more on this? I know I'm
2 going --

3 DR. RITCHIE: Sure.

4 MS. LOVE: I'm taking up time.

5 DR. RITCHIE: I've got one follow-up
6 but not related.

7 MS. LOVE: Okay. Thank you. But so --
8 so in practical terms, when you have a patient who is
9 taking future meds as they're incurred, you don't --
10 you don't -- you're able to look at what is paid out
11 over the years, what is actually paid out, consider
12 that in the aggregate, and use that as data for
13 projections going forward.

14 But it's not as if you have one patient
15 who, you know, needs a heart surgery, or a baby who,
16 you know, may live until they're 65 and need full home
17 care. You're not able to -- you don't have those
18 numbers to project for those individuals. Is that
19 true?

20 MR. WALLING: It's not a question of
21 not able.

22 MS. LOVE: Uh-huh.

23 MR. WALLING: We're in the process of
24 making sure that we have the same level of data that I
25 have in Virginia or New York. So --

1 MS. LOVE: Okay.

2 MR. WALLING: It's -- it's not that we
3 can't do it. It's just that we're going to need to
4 pull together a little bit more data than we have
5 right now.

6 MS. LOVE: And you -- okay. And you
7 haven't had that in the past; is that fair?

8 MR. WALLING: Yeah.

9 MS. LOVE: Okay. Thank you.

10 DR. RITCHIE: So, yeah. So it's
11 certainly doable because, obviously, you've named
12 these funds. You're doing it.

13 MR. WALLING: Yeah.

14 DR. RITCHIE: We just have to get
15 the -- the ball rolling a little better here with
16 better data and more time.

17 MR. WALLING: And because we're in such
18 early days --

19 DR. RITCHIE: Right.

20 MR. WALLING: -- my professional
21 opinion is it doesn't impact the analysis yet. But
22 we're going to want to get on top of that before --
23 before the -- the trend is -- is material. So, yeah.

24 DR. RITCHIE: So as -- as a follow up
25 to that real quick, then I'll definitely pass the

1 microphone. You've -- would it be a good data point,
2 or are you're already working on it, for you, in
3 particular, but for the board to know exactly what our
4 returns are -- what and -- and be able to look at
5 that --

6 MR. WALLING: You're not going to like
7 the answer. But, yes, that as a -- as a -- as part of
8 this process of managing the assets of the fund, more
9 like other funds, your investment manager is going to
10 make a report to the board probably a couple times a
11 year, maybe four times a year.

12 So, you know, my experience, the
13 actuary and the investment manager tend -- and
14 sometimes the auditor -- are -- are all on the board
15 agenda.

16 DR. RITCHIE: Right.

17 MR. WALLING: So, sorry. Your -- your
18 board meetings just got more exciting.

19 But, yeah, you're going to want
20 visibility on how your -- that the invested assets of
21 the fund are performing. You know, I -- I --
22 literally in Wisconsin, they go through, here are all
23 the bonds that have matured. Here's what the face
24 was, and here's how we've reinvested it.

25 And they get into detailed, thoughtful

1 discussions about the -- the duration of the -- the
2 bond portfolio relative to the expected duration of
3 the claims liabilities. So you can get into very
4 detailed analysis.

5 I -- I think the first step is getting
6 rid of the -- getting rid of the -- the negative fund
7 balance. The -- the second step is identifying an
8 independent investment manager to improve your return.
9 But then there's all sorts of governance things that
10 follow that.

11 DR. RITCHIE: Right. Okay. So open up
12 to anyone here in the room. Any other questions?

13 MR. THIES: Anyone online?

14 DR. RITCHIE: No?

15 MR. AUTIO: So Mr. Walling, if -- if
16 we, in -- in terms of the fund balance, if we were to
17 recommend to the superintendent and if the
18 superintendent adopted the recommendation to set the
19 hospital surcharges at the 25.7 percent, that would
20 eliminate the deficit completely.

21 MR. WALLING: There's a lot of "ifs."

22 MR. AUTIO: Yeah.

23 MR. WALLING: But -- but, yes, as -- as
24 long as the claims experience plays out the way we've
25 estimated, as long as all the hospitals stay in for

1 the next -- for the next year. And there's -- there's
2 a lot of, "as long as'es" inherent in that. But,
3 yeah, as -- as long as the assumptions that are
4 implicit in my analysis hold true. Yeah.

5 MR. AUTIO: And -- and it does sound
6 like those assumptions are based on all of the
7 hospitals currently participating staying in the fund?

8 MR. WALLING: Correct.

9 MR. AUTIO: Yeah. Okay. Okay.

10 DR. RITCHIE: And that's for the
11 lifetime of those claims?

12 MR. WALLING: Essentially, what we're
13 trying to do is estimate the full and final value of
14 those claims based on the data that we have.

15 DR. RITCHIE: Right.

16 MR. WALLING: Yeah. The -- the
17 discussion of what happens after the -- the end of
18 next year is, I think, outside the scope of this rate
19 hearing.

20 DR. RITCHIE: Just -- just bringing up
21 the point. That was all.

22 MR. THIES: I've got a question related
23 to that. What happens if the hospitals stay in the
24 program? Would that deficit surcharge go away and
25 reduce --

1 MR. WALLING: Interesting question.
2 I -- I still think there is a benefit to availability
3 and affordability of healthcare in New Mexico to have
4 an option for the hospitals to be in.

5 But that's a non-trivial task. That's
6 probably opening up the act. It's thinking about
7 do -- do you design it a little differently on a
8 going-forward basis?

9 I -- I -- it's a -- it's a good
10 discussion to have. And -- and my impression based on
11 parties involved, is I think at least some of the
12 hospitals would really like to stay. So the way you
13 retire the deficit changes if the decision is made
14 to -- for the hospital to stay in under some as yet
15 undefined set of -- of conditions. But, yeah.

16 MR. MYERS: Can you explain why the
17 deficit surcharge as a percent surcharge, that 22.5
18 percent, why doesn't that vary with and without the
19 risk margin?

20 MR. WALLING: Because the deficit is
21 the deficit.

22 MR. MYERS: Is the deficit --

23 MR. WALLING: Actually, that's an
24 interesting --

25 MR. MYERS: Could we vary that?

1 MR. WALLING: Maybe.

2 MR. MYERS: I mean, I was just thinking
3 when he was saying, "Oh, what happens next year?"

4 MR. WALLING: Dang. That's actually a
5 really interesting idea because if you're collecting
6 surcharges at the risk margin, then you probably don't
7 need as much of a deficit surcharge.

8 MR. MYERS: Yeah.

9 MR. WALLING: That's an interesting
10 idea. I hadn't thought that all the way through, but,
11 yeah --

12 MR. MYERS: Because I know next year
13 the question is going to be, well, what's outstanding
14 if the hospitals leave? And it kind of depends on
15 what we do with the hospital surcharge.

16 MR. WALLING: That's a really
17 interesting question I'm going to have to think about.

18 MR. THIES: Anyone that's --

19 MR. MYERS: Sounds good.

20 MR. THIES: -- appearing virtually have
21 questions?

22 MR. WALLING: You stumped the actuary.

23 MS. GALLEGOS: Yeah. I checked it just
24 a minute ago and there's no questions.

25 MR. WALLING: I wasn't anticipating

1 conversations --

2 MS. GALLEGOS: Does anybody have
3 questions online?

4 DR. RITCHIE: You can put them in the
5 chat as well. There's three -- are there anyone in
6 the chat? No.

7 MS. GALLEGOS: No, there's none in the
8 chat.

9 DR. RITCHIE: Yeah.

10 MS. GALLEGOS: No?

11 DR. RITCHIE: Okay. Seeing no one in
12 the chat are raising hands to speak. No further
13 questions here?

14 MR. THIES: No. I --

15 DR. RITCHIE: Okay. And Mr. Walling,
16 you said you really didn't have any final statement or
17 anything more about that?

18 MR. WALLING: No. I -- I know there
19 was -- I mean, did the Summit happen? I -- I --

20 DR. RITCHIE: Yes. Yes.

21 MR. WALLING: Good. We provided --
22 just as an informational item -- we provided a -- a
23 fair amount of data to the Summit. Hopefully, that
24 was -- was instructive. I'm sorry, I couldn't attend.

25 DR. RITCHIE: Yeah. No. It was

1 excellent. Too bad you couldn't attend. We got
2 national data from the medical -- the MPFL,
3 whatever --

4 MR. WALLING: Yeah.

5 DR. RITCHIE: -- the national database
6 in a very -- in an actuary very deep in that space
7 also.

8 MR. WALLING: Good.

9 DR. RITCHIE: So it was excellent.
10 Thank you.

11 So, I mean, if it -- and then no other
12 business then is aware of. We had a question. Is
13 Vince still on the call?

14 MR. THIES: Go to the people.

15 MR. WARD: I'm here.

16 DR. RITCHIE: Vince --

17 MR. WARD: I'm here. I'm here.

18 DR. RITCHIE: I mean you asked about
19 the -- the TPA discussion, but is that to be done at
20 another venue?

21 MR. WARD: Right. We'll do that the
22 next time.

23 DR. RITCHIE: Yeah. Thank you.

24 MR. WARD: If -- if OSI -- yeah.

25 DR. RITCHIE: Okay. Thank you. I -- I

1 didn't think that was here.

2 So unless anyone has any other further
3 questions, then I think we certainly are ready to
4 adjourn. I thank everyone for participating.

5 MR. THIES: Doctor, before you adjourn,
6 are you going to create a subcommittee to come back
7 with recommendations?

8 DR. RITCHIE: That's true. We -- well,
9 future -- yeah. That's not part of the hearing, so to
10 speak, but, yes.

11 So for the hearing then, the hearing is
12 adjourned.

13 For the purposes of the board, in the
14 past, we certainly have had a subcommittee to write
15 the recommendations, and the membership of that has
16 only varied a little bit through the years.

17 MR. VARGAS: Hey, guys, I'm willing to
18 help again.

19 DR. RITCHIE: Not that I'm trying to
20 twist any arms.

21 MR. WARD: Hey --

22 DR. RITCHIE: Yes.

23 MR. WARD: Guys, just -- this -- this
24 is Vince. Typically, we will have a follow-up meeting
25 and then the subcommittee meets.

1 DR. RITCHIE: Right.

2 MS. LOVE: We meet to talk about what
3 we're going to write --

4 MR. WARD: So we meet to set a date --

5 DR. RITCHIE: Right. Yeah.

6 MR. AUTIO: A meeting about a meeting.

7 DR. RITCHIE: Exactly.

8 MS. LOVE: -- and then we --

9 DR. RITCHIE: Have a meeting about the
10 meeting.

11 MS. LOVE: -- have a committee; right?
12 And then we meet to say what --

13 MR. AUTIO: I love this time of year.

14 DR. RITCHIE: There's so much spare
15 time this time of year. So I'd like to then poll the
16 committee. Who -- does anyone -- are there any
17 objections to actually just having a subcommittee, as
18 we have in the past, write a -- a recommendation, and
19 then we have a meeting to discuss that recommendation,
20 put in a final?

21 MS. LOVE: I like the streamlining.

22 DR. RITCHIE: And take one meeting out
23 of it?

24 MR. AUTIO: I don't have an objection
25 to that.

1 DR. RITCHIE: Okay. I see no hand --
2 go ahead, Vince.

3 MR. WARD: Well --

4 MS. LOVE: Are we able to see -- we're,
5 we're getting you guys back on the screen.

6 UNIDENTIFIED SPEAKER: Stop sharing
7 and --

8 UNIDENTIFIED SPEAKER: Click on
9 "people."

10 MS. LOVE: We're getting you guys back
11 on the screen.

12 DR. RITCHIE: There we go. What rule
13 did I break, Vince?

14 MR. WARD: Well, I will just tell you
15 that for all the time that we've been doing this, we
16 will typically meet and, you know, it will be a -- a
17 meeting in accordance with Open Meetings Act.

18 We'll have an agenda, and then we will
19 appoint the subcommittee at that meeting. I think
20 that that's a better practice, even though what you're
21 proposing is a more efficient practice.

22 MR. WALLING: Gives you a chance to
23 talk about the TPA issues as well.

24 DR. RITCHIE: Okay. Thank you. Then
25 as an alternative, because we do have potentially more

1 things on an agenda, as in a discussion on the -- the
2 third party, the TPA issue or change, then we need to
3 look at our calendars to figure out when we can do
4 another meeting.

5 MS. LOVE: When does the superintendent
6 need that discussion to happen?

7 MR. THIES: On the third-party
8 administrator?

9 MS. LOVE: Mm-hmm.

10 DR. RITCHIE: Yeah. Good question.

11 MR. THIES: I realize it's not on the
12 agenda, but we're advertising right now for the
13 proposals. They're due in about two weeks, and we'll
14 have an idea then, the steps toward which you're
15 required -- the superintendent's required to consult
16 with the board as to the selection of the third-party
17 administrator.

18 MS. LOVE: So I think that that puts us
19 in a little bit of a pinch because we need to get our
20 recommendation to the superintendent on the rates
21 before the end of October.

22 DR. RITCHIE: October.

23 MS. LOVE: So I would propose that
24 we -- Vince, can we please just to do a committee?

25 DR. RITCHIE: And do the TPA at the

1 meeting after --

2 MS. LOVE: Right.

3 DR. RITCHIE: To discuss the results of
4 the subcommittee.

5 MR. WARD: Yeah. I -- the -- the --
6 I -- I will be -- I'm okay with it. I just want to
7 caution everybody that, remember that no decisions can
8 be made with respect to anything that occurs outside
9 the scope of the public meeting that we will have
10 next. Right?

11 MS. LOVE: Right.

12 MR. WARD: So if there is a -- if there
13 is a subcommittee, that subcommittee needs to be,
14 obviously, a minority of the members. And I will
15 caution; there needs to be no decision-making
16 whatsoever in that working group.

17 MS. LOVE: So, Vince, if we were to
18 have our working group do a draft that is not a ruling
19 quorum, not discussed outside of that small committee,
20 and then come back and tweak the draft for a final
21 inner meeting, is that going to work?

22 MR. WARD: Yeah. I'm okay with that,
23 but I -- I -- again, I just -- yes. The answer is
24 yes, but I need everybody to really understand that
25 there needs to be no decision-making whatsoever with

1 respect to that work, and that it's simply to bring
2 recommendations to the full board and for the full
3 board to ultimately make the decision in accordance
4 with the committee.

5 MS. LOVE: Okay.

6 MR. AUTIO: It -- it seems like if
7 our -- our normal -- well, whoever wants to be on the
8 subcommittee, but our subcommittee could draft the
9 report really based on the actuarial recommendations.

10 MR. THIES: Right.

11 MR. AUTIO: And then at the subsequent
12 meeting we can have the discussion and tweak the
13 numbers if the board decides to do so.

14 MS. LOVE: Yeah.

15 DR. RITCHIE: Yeah. We edit that
16 report at that meeting.

17 MS. LOVE: So I move that last year's
18 committee be the same committee. I don't even
19 remember who it is, but that's my motion.

20 DR. RITCHIE: Mike? Troy? I think
21 Troy bowed out.

22 MR. VARGAS: I was on that, too, I
23 think.

24 DR. RITCHIE: It was Ray? I think it
25 was Ray --

1 MS. LOVE: Yeah, it was --
2 DR. RITCHIE: -- and Nick --
3 MS. LOVE: Ray, Nick, and I thought it
4 was Troy, but was it Mike?
5 MR. CLARK: This is Troy. I was on it
6 two years ago, but Mike replaced me last --
7 DR. RITCHIE: Right. He bowed out last
8 year.
9 MS. LOVE: Okay. It was Mike Dekleva.
10 Mike, can you do it again?
11 MR. DEKLEVA: Yeah. I can be on with
12 Nick and Ray. I can't -- I -- I don't want take the
13 lead in drafting it, but I do think Ray did that last
14 year, so maybe we can just follow the same blueprint
15 we did last year.
16 MS. LOVE: We're getting better every
17 year.
18 DR. RITCHIE: Yeah. Getting -- it's
19 getting easier.
20 MR. AUTIO: Yeah. No. That -- that
21 sounds good. We'll -- we'll, you know, I'll email
22 Mike and Ray and -- and we'll -- we'll get that going.
23 MS. LOVE: So --
24 DR. RITCHIE: Thank you.
25 MS. LOVE: We need to have our next

1 meeting within a couple of weeks.

2 DR. RITCHIE: Before the end of
3 October. Then -- well, but after the TPA --

4 MR. WALLING: Selection.

5 DR. RITCHIE: -- is closed. The
6 selection is closed.

7 MR. THIES: The selection is closed.

8 MS. LOVE: So will you be ready for
9 that meeting the week of the 20th?

10 DR. RITCHIE: Right. Boy.

11 MR. THIES: Should be. I don't have
12 the date, but I think the date is the week before when
13 they're supposed to submit the proposals.

14 MS. LOVE: Can we do Thursday the 23rd?

15 DR. RITCHIE: October 23rd.

16 MR. AUTIO: I've got a Plaintiff's
17 deposition that day. I can't do the 23rd.

18 MS. LOVE: 22nd?

19 DR. RITCHIE: We'd have to move things.

20 MS. LOVE: Does Wednesday the 22nd?

21 MR. VARGAS: I can do that.

22 DR. RITCHIE: Wednesdays are not -- I
23 mean, Thursday afternoons are the best for me. Short
24 of that, it'd be Tuesday or Friday afternoon if
25 possible.

1 MS. LOVE: Will your depo go all day,
2 Nick, on the 23rd, Thursday?

3 MR. AUTIO: Let's do -- can we meet at
4 two again?

5 MS. LOVE: Or even three?

6 MR. AUTIO: Listen, why don't we do
7 three because it will probably be a relatively quick
8 meeting. And I pray my depo's over by then.

9 DR. RITCHIE: Three o'clock on the 23rd
10 of October?

11 MS. LOVE: Three o'clock on the 23rd,
12 yeah.

13 DR. RITCHIE: That would be great.

14 MS. LOVE: Does that work for everybody
15 online?

16 MR. DEKLEVA: Yeah. It can work for
17 me.

18 MR. VARGAS: It works for me, or I can
19 make that work.

20 MR. DEKLEVA: It's Mike Dekleva. Yeah.
21 I can make it work.

22 DR. RITCHIE: All right.

23 MS. LOVE: Okay.

24 DR. RITCHIE: So three o'clock, October
25 23rd.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MS. GALLEGOS: Calendar it, Stephen.

DR. RITCHIE: All right. Then since we're talking to the board, any other new business of the board or old business?

All right. Well, thank you for being on the committee, Mike and Ray and Nick; and we will adjourn now until that meeting. Thank you.

(Whereupon, at 3:43 p.m., the proceeding was concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE

I, JAMES COGSWELL, the officer before whom the foregoing proceedings were taken, do hereby certify that any witness(es) in the foregoing proceedings, prior to testifying, were duly sworn; that the proceedings were recorded by me and thereafter reduced to typewriting by a qualified transcriptionist; that said digital audio recording of said proceedings are a true and accurate record to the best of my knowledge, skills, and ability; that I am neither counsel for, related to, nor employed by any of the parties to the action in which this was taken; and, further, that I am not a relative or employee of any counsel or attorney employed by the parties hereto, nor financially or otherwise interested in the outcome of this action.




JAMES COGSWELL
Notary Public in and for the
State of New Mexico

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF TRANSCRIBER

I, BENITA LE MAHIEU, do hereby certify that this transcript was prepared from the digital audio recording of the foregoing proceeding, that said transcript is a true and accurate record of the proceedings to the best of my knowledge, skills, and ability; that I am neither counsel for, related to, nor employed by any of the parties to the action in which this was taken; and, further, that I am not a relative or employee of any counsel or attorney employed by the parties hereto, nor financially or otherwise interested in the outcome of this action.



BENITA LE MAHIEU

0	120 42:2	2024 17:10	2:09 1:10
0.838 48:15	123 44:8,9,13	18:1,4,5 20:9	3
07 60:3	13 4:5 44:16	26:4	3 20:11 34:14
08 60:3	45:1 47:4	2025 1:9 5:13	40:1,9 43:17
09 60:3	13.6 43:7,8	5:20	45:14 51:22
1	44:24 45:2	2025-0010 1:4	3.5 21:10 48:23
1 17:20 20:5	1409 5:14	5:9	3.6 50:11
33:13 40:1,3	15 27:23 28:5	2026 1:2 5:11	3.8. 18:23
43:6 45:10,13	29:18 57:23	20th 79:9	30 1:9 5:13
45:15,21 50:13	16 51:1	21 27:17 46:22	17:12 56:4
51:1	16.2 48:19 49:5	21.6 27:15	30388 83:13
1,000 21:3,5,6,8	17 46:12	21.9 44:17	308 23:15
39:2	18 26:13 46:18	22 44:4 46:23	31 9:12 19:22
1.2 42:3	49:8 60:5	22.5 52:8,12	53:2
1.25. 42:3	19 26:13 46:18	68:17	31st 17:10
1.7 47:5	46:21	22nd 79:18,20	32311 82:16
1.8 47:5	19.3 44:18	23 19:7 46:23	33 19:21
10 12:18 23:16	2	230 48:3	34 24:17 45:24
29:18 33:25	2 15:17 20:6	23rd 79:14,15	34,291,587
50:4 57:23	25:2 29:11	79:17 80:2,9	23:11
10.4 26:6	40:1,6 45:15	80:11,25	34.3 20:23
100 38:14 39:3	2.1 40:17	24 19:6,17	21:14
100,000 22:11	2.5 44:19	25:10 27:16	342.556 19:13
11 4:3 14:18	2.6 44:19,22,23	46:23	36.1 52:6
47:16 48:20	47:7,8	25 42:1,2	37 25:13 26:8
11.1 52:5	2.6. 46:4	25.6 51:6	26:11
11.2 26:6	20 31:7 46:6,21	25.7 51:16	380 48:1,4
111.3 46:24	57:23	66:19	3:43 81:8
12 23:16,17	20.9 26:22 27:8	250,000 53:20	4
29:18 49:25	2016 46:12,13	26 52:19	4 20:14 34:14
50:5	2017 46:18	26.5 20:24	37:22 39:19,22
12/31/23 17:14	2018 26:5,19	21:12	40:24 41:8
17:22,24	43:22 46:8,21	26.5. 22:1	42:5 45:10,22
12/31/24 4:5	2019 26:6,20	27 5:20	51:1
16:20 17:23	43:22 46:8,12		

[40 - adjustments]

40 43:25 56:4	42:18,24	accounting	actuarially
400 1:14 5:15	75th 22:16	49:16	34:9
42 34:16 39:19	8	accurate 82:9	actuaries 16:24
39:19,20	8 33:25 37:24	83:5	30:11
45.873 18:22	47:2 56:3	accurately 15:1	actuary 2:18,24
5	80 60:7	act 40:15 68:6	9:5 15:22
5 21:14 33:24	82,463,038	74:17	54:15 65:13
34:14 41:4	16:18	action 82:12,16	69:22 71:6
42:5 45:19	87110 1:15	83:8,12	add 17:6 22:7
5,000 36:3,5	890 21:9	activities 33:1	24:25 41:19,24
5.4 26:20	9	activity 27:5,7	53:14
5.8 28:21	9 12:18 33:25	28:1,5,9,10	added 55:20
59 28:19	900,000 53:20	29:2,4,5,24	adding 42:6
6	95 50:18	30:18	additional
6 21:18 33:24	a	actual 21:24	40:19 44:4
41:8,10 42:5	abbreviated	54:13,20 55:4	address 9:14
45:4 56:3	16:13	59:24	58:1
60 26:21 28:19	ability 82:10	actually 12:18	adds 22:17
6200 1:14 5:14	83:7	14:21 19:22	55:10,12
65 63:16	able 8:16 58:18	21:13 22:17	adjourn 72:4,5
658,779 40:13	60:16 63:10,17	25:4,13 26:1	81:7
68 32:11 47:3	63:21 65:4	27:20 28:6,11	adjourned
68.7 47:3,10	74:4	28:19 33:3	72:12
7	absolutely 57:4	37:18 38:24	adjust 31:3,4,5
7 12:18,21	accepted 16:6	43:1,2 46:22	43:19 48:7
26:21 33:24	31:16	48:4 50:1	adjusted 38:6,7
44:8 56:3	accident 26:4	51:19,20,21	38:10
7.7 22:3	accordance	54:13 55:24	adjustment
7.8 22:3	74:17 77:3	63:11 68:23	16:7 38:11
70.47 47:4	account 21:5,8	69:4 73:17	40:11 44:15
70.47. 47:10	28:3 47:13	actuarial 2:18	45:8 48:10
7461555 1:22	54:5 61:25	4:4 9:6 13:10	50:4,10,22
75 20:12 21:21	accounted	31:16 36:23	adjustments
22:10,13 42:17	60:22	49:16 59:6	30:25 40:10
		77:9	45:9

[administrative - autio]

administrative 44:15 administrator 13:22 75:8,17 admitted 16:4 adopted 66:18 ads 58:12 advantage 56:20 60:20 adverse 25:10 25:11 26:25 28:9 advertising 75:12 advisory 1:8 2:4,5,6,8,10,12 2:14,16 5:8 affect 59:23 affects 52:23 affordability 68:3 afternoon 79:24 afternoons 79:23 age 61:5 agenda 65:15 74:18 75:1,12 aggregate 31:12 62:8,10 62:11,23 63:12 ago 31:7 69:24 78:6 agree 29:8 58:15 62:4	agreement 21:3 agreements 29:7 ahead 19:20 32:18 34:19 39:18 74:2 alben 7:25 albuquerque 1:15 5:15 algorithm 36:4 36:4 allowances 55:3 alternative 74:25 amortization 52:14 amortized 53:6 amount 27:4 55:19 70:23 amounts 31:19 35:7 analogs 23:23 analysis 4:5 9:7 13:3 17:22,22 25:22,22 32:3 37:15 49:13 62:21 64:21 66:4 67:4 anecdotally 58:2 annie 3:3 annual 48:23 56:10 57:2	annually 56:3 annuities 58:3 answer 65:7 76:23 anticipated 60:4 anticipating 69:25 anybody 70:2 anymore 56:9 anyway 10:21 apologize 60:6 appearing 69:20 appears 8:3 14:18 appoint 74:19 appropriate 34:17 38:6 approve 53:10 approved 13:24 35:1 area 15:19 arms 72:20 as'es 67:2 aside 60:22 asked 42:15 59:12 71:18 assessing 38:17 assessment 13:23 40:3 45:12 60:15 assessments 24:5,10 31:14 42:18,23 44:24	46:16 47:7 48:10,12,13 49:2 51:22,24 assets 47:22,25 48:4,8 49:20 55:24 57:3 59:2 65:8,20 assign 35:16 associated 57:16,21 assume 21:21 assumed 49:10 59:6 assuming 48:21 assumption 49:6,11 assumptions 12:8 49:23 62:22 67:3,6 attend 70:24 71:1 attendance 6:7 attendees 2:2 3:2 attending 6:3 attention 49:24 attorney 2:6 82:14 83:10 audio 82:8 83:3 auditor 65:14 authored 12:13 autio 2:16 7:6 7:13,14 8:18 13:17 66:15,22 67:5,9 73:6,13
---	---	--	---

[autio - call]

73:24 77:6,11 78:20 79:16 80:3,6 auto 54:10 availability 68:2 available 34:24 36:25 54:17 average 22:25 23:7 29:1 31:11 46:24 48:23 aware 71:12	ball 64:15 barely 50:12 base 36:3,5,7 36:11 based 13:5 22:11 29:7 30:20 32:6,20 36:25 39:12 40:4 43:13 46:16 47:17 54:16 61:9,17 67:6,14 68:10 77:9 basically 36:17 52:13 53:7 basis 17:11 19:18 20:22,24 21:1 26:11 28:24 31:13,20 33:16 42:16 55:5,5 60:18 61:9 62:24 68:8 believe 5:11 24:20 37:21 benefit 48:16 68:2 benefits 16:25 50:19 54:13 61:10,11 62:17 benita 83:2,15 best 24:3 32:20 39:8 79:23 82:10 83:6	better 23:19 24:4,10 27:25 39:16 54:15,20 56:18 64:15,16 74:20 78:16 beyond 24:2 bias 37:2 big 30:14 42:9 42:9 44:2 birth 55:1 56:2 61:3 bit 15:2 35:19 64:4 72:16 75:19 blueprint 78:14 board 1:8 2:4,5 2:6,8,10,12,14 2:16 5:8 9:15 15:5 23:21 30:5 49:14 50:25 65:3,10 65:14,18 72:13 75:16 77:2,3 77:13 81:3,4 bond 60:6 66:2 bonds 60:8,8 65:23 born 29:13 borrow 10:14 bottom 10:3 12:22,24 14:14 14:16 15:18 19:8,13 26:15 28:6 29:17 33:18,19 44:11	53:5 boulevard 1:14 5:14 bound 61:6 bowed 77:21 78:7 boy 79:10 brag 50:15 break 74:13 breaks 15:11 bring 18:7 25:21 77:1 bringing 67:20 brought 43:12 budget 50:6 bullet 12:24 bureau 14:3 bureaus 32:22 business 71:12 81:3,4
b			c
b 4:1,4 13:14 13:15 baby 63:15 baca 3:6 back 15:15 17:20 19:23 22:7 24:13,24 25:2 26:9 43:3 50:2 72:6 74:5 74:10 76:20 background 9:14 11:8 bad 23:18 24:12 44:5 71:1 balance 17:4 20:15,17 23:13 23:14,17 24:1 24:14 28:7 47:21,23 48:8 59:10 66:7,16			c 2:1 3:1 5:1 calculate 30:5 calculation 41:5 calendar 1:2 5:11 19:6 24:18 27:4,16 28:1 30:2 38:19 44:3 52:19 81:1 calendars 75:3 call 6:20 30:13 56:23 71:13

[called - column]

called 5:24 8:4 cap 38:11 40:13 caps 31:5 car 36:8,8 cardiac 38:14 39:1 care 57:22 63:17 carrier 36:18 carriers 23:4 32:22 33:10 34:7,21 35:2 case 9:1 22:14 40:12 45:11,16 cases 60:17 cash 59:17,24 categorically 54:15 categories 16:11 category 16:12 caused 18:19 26:17 causes 59:10 causing 18:25 caution 76:7,15 center 39:2 centers 38:14 cents 50:18 certain 24:5 certainly 23:19 24:15,20 56:12 57:12,20 60:4 61:13 64:11	72:3,14 certificate 82:1 83:1 certify 82:4 83:2 cetera 57:10 chair 2:5 5:8 7:3,9 chairman 1:8 2:3 7:1 8:10 challenge 56:7 challenging 56:11 chance 17:21 74:22 change 18:19 31:25 34:12 35:14 36:19 40:2,8 45:9,13 45:14 52:5 53:25 54:4 60:25 75:2 changed 38:8 changes 19:1 29:23 33:11 34:13,15 40:6 43:13 45:20 54:2,4 57:9 68:13 changing 55:8 characterizati... 62:5 chat 6:10 70:5 70:6,8,12	checked 69:23 chief 2:24 choice 29:12 choose 35:14 christian 2:24 circumstance 15:25 claim 20:10 21:16 22:15,22 22:24,25 23:7 28:8,10 29:4 29:13 30:1,21 30:22 31:1,2 31:11,18,18 47:17 48:17 claims 13:24 14:18 15:16,20 15:24 16:3,25 17:9,25 18:3,4 18:6,7,11,13 19:15,17 20:4 22:12 23:1,3 24:9,15 26:12 27:5,6,9 29:2,5 29:18 30:18,18 31:10 35:13 40:4 42:25 46:5,16 54:10 59:19 62:9,12 62:16,17 66:3 66:24 67:11,14 clark 2:10 6:22 7:4,6,11 78:5 class 32:21,23 33:3,4,7,13,24	34:10 35:10,11 35:12,17 36:1 36:9,11,15,20 37:1 40:7 45:9 classes 33:23 34:4,14 35:14 37:3 classification 32:20 35:2,10 35:22 classifications 32:16 35:7 37:9 classified 32:6 clean 6:1 clearing 26:14 clerk 2:20 click 74:8 close 19:5,7 closed 31:10,18 79:5,6,7 closure 30:22 cogswell 1:21 82:2,17 collect 44:18,21 48:12,17 59:14 59:15 collected 24:5 43:16,23 48:22 collecting 69:5 collections 53:19 column 18:20 20:5,6,11,14 21:14,18 27:14
---	--	---	--

[column - data]

40:3,6,9,24 41:3,8,8,10 43:6,17 45:13 45:14,19,21,22 47:16 51:22 columns 40:1 45:12 combined 28:14,24 come 23:1 25:19 34:9 52:18 72:6 76:20 comes 45:2 58:20 coming 18:3 29:20 34:22 47:12 comment 6:14 26:24 committee 6:21 73:11,16 75:24 76:19 77:4,18 77:18 81:6 comp 61:3,15 companies 16:4 company 17:4 19:12 23:22,25 35:4 comparable 37:10 compare 20:14 27:17 33:3 50:16	compared 33:7 55:21 comparison 50:17 compensation 1:1 5:10,19 12:10 54:10 competence 22:10 complete 6:7 6:18 completely 66:20 computing 21:15 concluded 81:9 condition 61:18 conditions 68:15 conducted 5:16 5:21 confidence 20:12,13 22:17 42:17 confident 42:24 consider 52:17 63:11 considering 60:15 consistent 15:4 consult 75:15 consulting 2:17 cont'd 3:1 contain 12:9	contents 16:10 continues 15:16,17 contribute 59:7 control 39:10 conversations 70:1 copy 14:25 15:1,3 corolla 36:9,10 correct 6:17 15:7 16:14 17:17 19:10,11 20:2 21:19 32:17 38:20 39:19 41:23 45:25 51:8,19 52:7,20 53:12 53:20,21 67:8 cortese 3:11 cost 38:11 40:10,10 45:8 costs 44:21 57:9,10 counsel 2:19,20 2:22,23 8:11 9:2 82:11,14 83:7,10 country 59:3 counts 31:18 31:18 couple 46:19 65:10 79:1 court 5:3,25 6:13,16 8:21	cover 11:22 24:14 44:14,21 coverage 23:6,9 38:6 40:22 43:19 covid 26:13 60:6,9 cpi 38:10 create 72:6 credit 48:3,18 49:20,21 critical 49:11 56:24 current 16:5 20:15 23:17 25:22 32:16 33:3,7 43:12 43:15,19 44:7 47:9 61:17,18 currently 19:16 20:16 44:17 67:7 cursor 26:2 cv 9:15 cycles 53:8
d			
d 5:1 damage 31:5 40:13 dang 69:4 data 12:8,14 13:19,21,23,24 14:1,3 22:12 31:25 32:2 34:23 35:13			

[data - docs]

36:15,25 54:16 56:9 58:19 60:23 62:10,11 62:16,18,23 63:12,24 64:4 64:16 65:1 67:14 70:23 71:2 database 71:5 date 31:12 73:4 79:12,12 day 48:17 79:17 80:1 days 60:25 64:18 deal 55:17 dealt 54:9 debbie 3:4 decades 14:5 54:11 december 17:10 29:20 decides 77:13 decision 35:16 52:2 68:13 76:15,25 77:3 decisions 76:7 decreased 24:18 decreases 20:24 deep 71:6 deficiency 24:18	deficit 20:16,21 20:23 23:10 24:12,12,22 41:7 45:17,18 45:21,23 51:22 52:9,14,23 53:5,10,11 55:25 59:8 66:20 67:24 68:13,17,20,21 68:22 69:7 defines 35:10 definitely 64:25 dekleva 2:12 7:15,16 78:9 78:11 80:16,20 80:20 delivered 15:5 delta 44:19,20 demonstrate 36:25 demonstrated 50:21 depends 69:14 depo 80:1 depo's 80:8 deposition 79:17 describe 12:5 16:22 30:4 39:21 59:3 description 4:2 design 68:7 detail 18:25 38:13	detailed 25:18 35:13 50:6 61:4,14 65:25 66:4 determination 36:4 determine 5:18 38:18 determining 1:1 5:10 9:9 developed 32:23 developing 46:15 development 25:10,11 27:1 28:9 44:2,5 difference 15:21 18:15,20 19:7 20:18 25:23 42:10 49:22 differences 15:23 17:21 31:4,5 different 13:20 22:11 23:25 27:13,24 30:20 31:7,9 49:17 56:15 59:18 differentiation 33:1 differently 68:7 difficult 54:8 54:14,18	difficulties 8:24 digital 82:8 83:3 directed 58:25 directing 49:24 director 3:4 discount 47:15 47:20 48:7,20 discounted 20:7,23 21:1 21:11,18,20 discounting 22:20 47:20 49:4 discounts 47:16 discriminatory 36:21 discuss 73:19 76:3 discussed 76:19 discussion 67:17 68:10 71:19 75:1,6 77:12 discussions 66:1 distinction 47:20 distinctly 17:2 divided 16:10 doable 64:11 docket 1:4 5:9 5:20 docs 29:3 59:18
---	--	--	--

[doctor - exhibit]

doctor 72:5 doctor's 35:4 document 12:3 12:6 documentation 36:19 documented 52:13 57:18 doing 8:12,15 9:4 23:16 34:8 34:9,22 40:14 46:13 56:18 58:16 60:15 61:14 62:7 64:12 74:15 dollar 39:5,6 48:12 50:18 dollars 17:11 21:24 24:8 30:19 31:12 40:14 43:16,24 43:24 dourette 3:7 dr 1:7 2:3 5:2,6 5:7 7:2 8:3,8 8:13 10:9,17 11:3,10 15:6 41:21,24 42:7 52:3 53:17,22 53:24 54:23 56:17,25 57:5 57:8,24 58:5 63:3,5 64:10 64:14,19,24 65:16 66:11,14	67:10,15,20 70:4,9,11,15,20 70:25 71:5,9 71:16,18,23,25 72:8,19,22 73:1,5,7,9,14 73:22 74:1,12 74:24 75:10,22 75:25 76:3 77:15,20,24 78:2,7,18,24 79:2,5,10,15,19 79:22 80:9,13 80:22,24 81:2 draft 76:18,20 77:8 drafting 78:13 dramatically 24:9 drop 32:1 due 21:8,14 49:16 55:12 75:13 duly 82:5 dumbing 35:18 duration 66:1,2	edit 77:15 effect 28:14 effects 18:19 efficient 50:16 50:20 74:21 eight 32:12 eighteen 43:23 either 6:8 13:21 elements 13:3 13:21 17:1 19:1 40:1 eliminate 66:20 email 78:21 employed 82:11,14 83:8 83:11 employee 82:13 83:10 enable 13:6 ensure 5:25 entitled 14:17 15:20 equally 33:23 equivalents 38:22 error 15:9 es 82:4 escrow 21:5,7 essentially 21:15 22:19 37:2 40:21,24 42:21 44:19 48:21 67:12 established 7:12	estimate 19:14 30:16 61:11 67:13 estimated 16:17,23 18:16 18:21 26:17 27:19 66:25 estimates 27:23 28:4 31:9 estimating 30:14 et 57:10 evaluate 30:10 event 8:4 everybody 27:8 39:14 76:7,24 80:14 evolved 46:17 exactly 18:11 20:3 65:3 73:7 examine 17:21 examining 8:12 9:4 example 48:2 55:1 excel 12:15 excellent 71:1,9 excess 22:25 24:8 30:2 40:13 53:19,20 exciting 65:18 exercise 47:1 exhibit 4:3,4 11:13,14 13:14 13:15 27:12
	e 2:1,1 3:1,1 4:1 5:1,1,20 early 46:9 60:25 62:20 64:18 easier 78:19 easy 39:11		

[exhibit - function]

39:19,22 41:6 45:4,10 51:1 exhibits 15:10 18:24 exoskeletons 55:15 expect 44:20 50:8 61:19 expectancy 55:12 61:10,18 expected 17:7 27:4,25 28:5 28:22 44:13 46:5 50:6 61:24 66:2 expense 16:7 50:8 expenses 44:15 44:16 50:4,4 50:10,22 experience 11:9 13:6 24:4,9 35:12 36:14 40:4 43:11 45:21 46:17,20 46:20 65:12 66:24 experienced 25:9 expert 13:11,12 explain 20:25 38:12 41:16 45:6 49:25 68:16	explicit 22:7 exposure 38:14 38:21 exposures 39:8 extent 7:5 25:10 external 14:1 extraordinarily 50:16 extraordinary 50:19 extrapolates 31:11 extrapolating 31:19 extrapolation 30:13,20	fairly 22:14 62:20 far 18:15 46:21 46:21 farm 36:7 favor 43:2 53:1 favorable 28:10 favorite 50:14 feeding 61:7 fetherolf 3:5 fewer 62:12 figure 75:3 figures 53:18 file 36:3 filed 5:19 13:24 35:1,11 36:1 filing 35:1 36:21 37:1 filings 13:24 fill 55:25 filled 53:7 final 9:12 67:13 70:16 73:20 76:20 finally 44:3 financially 82:15 83:11 findings 12:9 26:25 firm 9:6 first 9:13 11:17 11:18 14:7 38:13 43:6 45:12 46:15,19	56:24 58:18 66:5 five 31:15 50:3 flip 55:22 flows 28:6 59:17,24 focused 26:23 29:2 folks 14:24 follow 63:5 64:24 66:10 72:24 78:14 following 14:19 footnotes 42:5 42:5 foregoing 82:3 82:4 83:4 forty 37:6 forward 25:13 38:10 44:7 48:9 63:13 68:8 four 12:23 31:15 37:23 40:25 65:11 fran 6:24 frances 2:20 friday 79:24 front 35:23 full 6:6 38:22 48:15,18 49:21 63:16 67:13 77:2,2 function 6:10
	f		
	faaos 1:7 2:3 face 65:23 facilities 16:13 19:5 29:1 38:5 facility 37:19 38:18 fact 26:16 29:17 factor 36:6,9 36:11 45:8,14 59:9 factors 35:2,11 35:12 36:1,15 36:20 59:23 fair 50:17 64:7 70:23		

[fund - happen]

fund 1:2 5:10 5:19 12:10 17:20 19:25 20:15,17 22:9 23:13,14,17 24:1,3,13 28:7 55:1 56:2 59:10 60:19 65:8,21 66:6 66:16 67:7 fundamentally 23:24 31:8 funders 56:19 funding 42:14 funds 48:6 55:7 57:22 61:3,15 64:12 65:9 further 70:12 72:2 82:13 83:9 future 21:16 30:24 53:22,25 58:3,3,9,18 60:16,17,22 61:11,19,25 62:1 63:9 72:9	33:20 37:6,8 37:23 38:1,3 43:5 51:13 53:3 69:23 70:2,7,10 81:1 gene 55:16 general 2:19,22 2:23 8:10 9:2 generally 16:6 31:16,24 generate 55:6 55:23 generated 47:24 generating 48:6 geriatrics 33:16 getting 24:13 50:18 66:5,6 74:5,10 78:16 78:18,19 gi 61:7 give 6:14 18:11 23:15 42:22 48:18 49:19,21 54:25 given 35:16,17 59:17 gives 17:20 55:25 74:22 giveth 18:5 giving 48:3,19 gloria 2:22	go 5:3 9:10,16 9:18 10:10 11:16,17,18,25 11:25 14:14,15 16:10 19:20,23 25:13,17 27:11 32:10,18 33:18 33:19 34:5,19 37:15,17 42:4 45:4 46:7 47:1 52:8 53:1 55:10 57:19 65:22 67:24 71:14 74:2,12 80:1 going 8:18 11:24 12:19 14:8,21 15:2,4 15:15 17:9,11 20:9 21:3 22:5 22:21 25:7,12 25:25 37:3 40:19 43:3 44:7 46:11,12 52:18,21 54:23 55:14,16 57:10 57:12 61:21 63:2,13 64:3 64:22 65:6,9 65:19 68:8 69:13,17 72:6 73:3 76:21 78:22 good 5:7 21:21 23:18 24:12	27:19 44:10 46:6,21,22 56:1 65:1 68:9 69:19 70:21 71:8 75:10 78:21 gotten 57:13 governance 66:9 government 23:23 59:22 great 46:20 59:1 80:13 grief 44:10 group 3:4,5 76:16,18 groups 33:24 growing 55:17 guess 30:12 guys 72:17,23 74:5,10 gyns 34:1 36:23
g			h
g 5:1 gallegos 2:20 6:25 9:17,23 10:1,12,16,19 10:25 11:5,20 11:23 12:20 25:6,15 28:15 28:17 32:12			h 4:1 half 20:2 39:5 44:12 hammered 60:8 hand 18:15 19:13 26:1 74:1 hands 70:12 happen 59:7 70:19 75:6

[happens - increase]

happens 36:8 67:17,23 69:3 hard 14:25 15:1,3 harder 56:8 healthcare 16:13 19:5 29:1 33:2 37:19 38:5 68:3 hear 6:2,13,14 8:17 13:13 hearing 5:16,18 5:21 6:8,18 11:11 67:19 72:9,11,11 heart 36:24 63:15 heavily 29:2 60:3 heavy 38:24 help 8:18,22 72:18 helps 8:20 hereto 82:15 83:11 herrera 2:23 hey 72:17,21 hiding 10:7 high 26:9 28:12 33:24 higher 27:4,6 highlight 42:6 historical 13:23 13:23 22:12	30:21,21 39:16 40:4 43:12,13 43:14 46:16 47:17 50:3 61:10 historically 22:8 29:11 42:15 hmm 75:9 hold 37:7 45:4 67:4 holds 56:14 hole 53:7 56:1 home 63:16 homeowner's 39:3 honestly 28:21 hopefully 70:23 hospital 29:7 29:13 37:13 52:14 66:19 68:14 69:15 hospitalization 55:4 hospitals 16:12 18:20 19:4,10 20:22 27:12,13 27:23,25 28:10 28:25 29:3,8 31:22,25 32:2 37:11,16 46:4 46:9 51:15 52:18 59:20 66:25 67:7,23 68:4,12 69:14	hot 43:8 46:23 house 39:4,5,6 housing 55:3 how's 52:21 huge 24:1 huh 63:22 hundred 29:13 42:2 hundreds 24:8 i iceberg 30:14 30:15 idea 21:11 32:25 39:1 48:11 49:11 61:25 69:5,10 75:14 ideal 24:13 identical 41:9 identification 11:15 13:16 identified 6:5 identify 6:5 58:25 identifying 66:7 ifs 66:21 ii 2:8 iii 2:17 4:3 immediately 48:14 impact 18:12 22:19 27:6 29:21 30:1 32:3 40:16	52:21 62:21 64:21 impacted 25:10 impacts 56:16 imperative 57:4 implicit 22:4 67:4 important 23:21 25:24 46:10 47:19 49:12 importantly 6:13 impression 68:10 improve 66:8 improved 24:22 improvement 27:2 28:6,11 included 52:4 includes 35:2 including 13:23 29:15 61:24 income 20:8 21:13 47:3,14 47:23 48:6 54:22 55:6,24 increase 18:8 20:11 26:17,22 40:16,17,19 42:2,19,23 44:23,23 47:6 47:7 49:7
---	---	--	--

[increase - kind]

51:21 increased 26:19,20 45:13 increases 28:7 40:12 increasing 22:16,20 incredibly 50:20 incremental 26:3,7 47:5 56:10 incurred 60:18 63:9 indemnity 31:19 independent 16:11,18 19:3 19:9 25:9 32:23 39:25 50:25 66:8 indiana 33:8 indicated 20:16 20:16,21 23:10 24:2 28:11 33:11 40:2,3,8 41:6 45:12 47:10 48:20 49:5 indication 42:22 48:19 indications 42:16 individual 26:10,11 46:13	62:9,9 individuals 63:18 indulgence 63:1 industry 32:20 39:8 inflation 14:2 40:20 55:13 inflationary 31:3 38:7 information 28:2 36:14 61:4 informational 70:22 infusions 24:21 inherent 67:2 injured 57:12 57:21 61:16 injury 55:1 61:3,15 inner 76:21 instructive 70:24 insurance 1:13 8:11 9:3,10 16:4,25 17:4,4 19:12 23:22,23 23:24,25 32:22 59:21,22 insured 39:4 integrion 3:4,5 13:21	interchangea... 16:1,8 interest 23:21 24:3 27:13 interested 82:15 83:12 interesting 68:1,24 69:5,9 69:17 intuitive 33:14 33:25 invasive 33:13 inverse 49:8 invest 58:4,8 59:19,20 invested 21:12 47:24 48:3,4,7 48:8,13,14,22 48:25 49:12,20 55:24 57:3 60:3 65:20 investing 48:16 56:18,18,19 58:20 60:9 investment 20:8 21:7,13 47:14,23 48:6 54:22 55:6,23 56:1,3 58:25 60:5 65:9,13 66:8 investments 59:6 involved 33:15 68:11	iso 32:23 issue 75:2 issues 55:17 74:23 it'd 12:18 79:24 item 40:11 47:21 70:22 items 12:24 <tr> <td colspan="4">j</td></tr> <tr> <td colspan="4"> j 2:5,17 4:3 j.d. 2:16 james 1:21 82:2 82:17 january 29:20 jenica 3:11 jennifer 3:5 jiggle 34:14 job 1:22 56:8 56:18 59:1 joseph 2:23 juan 3:8 jump 19:19 39:18 june 5:20 jung 3:3 </td></tr> <tr> <td colspan="4">k</td></tr> <tr> <td colspan="4"> karen 3:9 kathleen 2:5 keep 11:24 12:19 14:8 15:4 23:23 43:7 55:7 kind 18:5 21:7 23:3 24:6 27:2 </td></tr>	j				j 2:5,17 4:3 j.d. 2:16 james 1:21 82:2 82:17 january 29:20 jenica 3:11 jennifer 3:5 jiggle 34:14 job 1:22 56:8 56:18 59:1 joseph 2:23 juan 3:8 jump 19:19 39:18 june 5:20 jung 3:3				k				karen 3:9 kathleen 2:5 keep 11:24 12:19 14:8 15:4 23:23 43:7 55:7 kind 18:5 21:7 23:3 24:6 27:2			
j																			
j 2:5,17 4:3 j.d. 2:16 james 1:21 82:2 82:17 january 29:20 jenica 3:11 jennifer 3:5 jiggle 34:14 job 1:22 56:8 56:18 59:1 joseph 2:23 juan 3:8 jump 19:19 39:18 june 5:20 jung 3:3																			
k																			
karen 3:9 kathleen 2:5 keep 11:24 12:19 14:8 15:4 23:23 43:7 55:7 kind 18:5 21:7 23:3 24:6 27:2																			

[kind - lot]

28:22 31:6,17 46:11,17 48:10 52:2 54:20 55:10 69:14 know 9:18 10:2 10:17 21:9 22:11 29:22 34:14 42:1 45:18 55:14 56:4 57:17 59:1,11 60:2 60:19,21 62:14 63:1,15,16 65:3,12,21 69:12 70:18 74:16 78:21 knowledge 82:10 83:6	leave 69:14 left 19:13 26:18 legal 2:20 legislated 40:11 40:15 legislative 24:21 29:23 letter 11:22 level 20:12,13 22:6,10 24:5 28:12 32:9 42:17 63:24 levels 28:11 leverage 54:21 liabilities 15:20 15:24 16:3 20:5 24:15 47:22 66:3 liability 14:18 15:16 33:10 54:10,11 life 43:3 55:8 55:11 61:9,9 61:17 lifetime 55:2,2 55:3,4 67:11 likelihood 22:20 limitation 31:25 32:3 limits 38:7 43:19 45:13 line 19:3,8 26:15 28:6 29:17 46:1	49:25 list 2:2 3:2 39:14 listen 80:6 listening 60:5 literally 15:9 18:18 38:9 40:14 47:8 65:22 little 8:13 11:18 15:2 35:19 38:13 56:10 62:25 63:1 64:4,15 68:7 72:16 75:19 live 63:16 living 38:11 40:10,11 45:8 loads 50:8 located 5:14 long 31:13 46:24 57:13 58:11 66:24,25 67:2,3 longer 16:6 56:14 62:17 look 10:22 21:6 22:9 24:7 26:9 27:14 32:21 34:6 36:15 42:12,13 46:22 46:23 50:3 60:16 63:10 65:4 75:3	looked 22:11 29:10 34:21 43:10 looking 18:10 25:20 48:9 61:24 62:8,10 62:22,23 looks 8:2 31:13 32:14 45:9 46:21 61:1 loss 15:23 16:7 16:7 17:3 20:4 26:22 27:14,23 28:1,4,9 30:10 32:8 35:14 39:5 43:21 44:8,14,14 46:8,13,22,24 50:3,10,21 55:3 losses 26:2,3,7 26:17,19 27:7 27:15,18,20 28:21 29:6 30:6,7 31:14 43:18,20 44:3 46:6 50:11 53:19 lot 26:12 29:21 45:10 54:21,21 56:6,7,15 57:11 59:18,21 60:19 61:15 66:21 67:2
l			
lab 39:12,15 labor 14:3 labs 39:10,10 language 16:3 large 22:15 23:2 29:3,11 54:10 largely 49:16 larger 23:4,7 law 2:20 layer 23:6,9 le 83:2,15 lead 78:13 leading 32:21 33:9 34:7,8,21			

[lots - membership]

lots 27:9 28:8 29:15 love 2:5 7:3,9 7:10,20 15:12 15:14 34:17,20 35:6,18,21,25 36:13 37:5 48:25 57:7 58:1,7,14 59:5 59:13 60:1,11 60:14 61:23 62:3,6,25 63:4 63:7,22 64:1,6 64:9 73:2,8,11 73:13,21 74:4 74:10 75:5,9 75:18,23 76:2 76:11,17 77:5 77:14,17 78:1 78:3,9,16,23,25 79:8,14,18,20 80:1,5,11,14,23 low 33:14,17 49:3 50:12,21 50:22 lower 46:5 luera 3:4 6:23 7:1,3,8,11,15 7:17,19,21,25 8:16,20 luis 3:10 lump 54:2,2,19 55:21 56:9,21 57:2,11,16,21 58:5,7	m m 2:8 m.d. 1:7 2:3 m.ed. 3:3 made 29:12 43:14 68:13 76:8 mahieu 83:2,15 make 6:1,17 9:11 21:3 26:24 31:6 32:13 39:16 43:3 48:11 49:14 59:14 65:10 77:3 80:19,21 makes 22:6 39:11 42:19 56:8 making 32:8 34:11 49:18 58:9 63:24 76:15,25 malpractice 40:15 manager 65:9 65:13 66:8 managers 58:25 60:5 managing 59:2 65:8 manner 50:6 margin 22:3,4 22:7,15,18 41:17 42:8,9	42:13,14,21 43:7 51:2,4,7 51:16 52:5 68:19 69:6 marked 11:14 13:15 martinez 2:14 7:23,24,25 match 17:18 48:8 material 49:6 64:23 materially 24:23 math 23:16 40:14 matter 1:1 5:10 26:16 29:18 matured 65:23 mean 16:23 21:1,23 22:23 23:20 37:14 41:17 49:4 50:10 53:9 54:7 58:6 69:2 70:19 71:11,18 79:23 meaningful 33:1 means 22:2 24:3 56:13 59:13 measure 38:21 39:11,12,16	mechanism 50:20 medical 3:3 14:2 33:10 35:3 40:12,15 53:22 54:1,11 55:2,4,7,13,13 57:9 71:2 medicals 61:19 medpro 32:22 36:10 50:17 medpros 23:5 meds 58:4,18 60:16,18,22 62:1 63:9 meet 36:20 73:2,4,12 74:16 80:3 meeting 5:3 6:9 72:24 73:6,6,9 73:10,19,22 74:17,19 75:4 76:1,9,21 77:12,16 79:1 79:9 80:8 81:7 meetings 65:18 74:17 meets 72:25 member 2:8,10 2:12,14,16 members 6:11 6:21 23:22 76:14 membership 72:15

[mentioned - northeast]

mentioned 22:22 56:13 58:12 method 32:1 methodology 30:5 methods 12:8 30:20 49:22 62:22 mexico 1:13 3:3 4:4 5:15 12:10 14:3 33:10 34:8,22 36:18 37:2 68:3 82:19 michael 2:12 microphone 6:12 8:21 65:1 microphones 5:24 middle 9:16,24 17:13 mike 77:20 78:4,6,9,10,22 80:20 81:6 million 18:22 19:13 20:23,24 21:12,14 22:3 22:3 23:15 24:17 26:6,6,8 26:11,20,21,22 27:8,15,17,23 28:5,19,19,21 39:5,6 40:14 43:23,25 44:4	44:8,17,18,19 44:20,23 45:24 46:6 47:3,3,4,5 47:5,10 48:1,4 millions 24:8 mind 35:18 43:8 62:20 minority 76:14 minute 37:7 43:8 69:24 miserable 43:3 43:23 missed 11:18 mm 75:9 mobility 61:5 model 61:17 modeling 61:14 moderated 1:7 molina 3:10 money 20:7 21:4,14 47:16 48:5,16,18 49:10,22 56:4 56:14,20,21 57:17 58:9,9 58:20 59:19,20 montano 3:8 months 60:5 morning 5:7 morphed 46:17 motion 77:19 mouse 10:14 move 8:15,21 13:10 34:14 77:17 79:19	moving 18:2 mpfl 71:2 multiple 15:10 multiplication 41:1,13 multiply 36:9 41:20,22,25 mute 5:24 myers 2:24 68:16,22,25 69:2,8,12,19 myriad 57:16	needed 57:14 needs 58:9 63:15 76:13,15 76:25 negative 66:6 neither 82:11 83:7 nerves 55:18 neurology 34:2 new 1:13 3:3 4:4 5:15 8:1 12:9 14:2 18:3 18:7,12 33:10 34:7,22 36:18 37:2 55:8,16 55:20 57:10 61:2 63:25 68:3 81:3 82:19 nick 2:16 78:2 78:3,12 80:2 81:6 nm 1:15 nomenclature 15:21 nominal 17:10 21:24 42:16 non 33:13,16 40:12 68:5 nope 28:14 normal 77:7 normally 34:14 northeast 1:14 5:15
		n	
		n 2:1 3:1 5:1 name 6:5,6,9,9 6:15 8:1,10 9:1 named 64:11 narrative 15:17 15:19 25:8 national 71:2,5 nature 22:25 23:24 near 26:11 necessarily 24:2 need 9:10 10:4 25:3 40:16 42:19 44:16,17 44:21,23 47:5 47:7,10 49:7 55:6 56:4 57:19,23 61:22 63:16 64:3 69:7 75:2,6,19 76:24 78:25	

notary 82:18 note 25:8 noted 42:4 notice 39:9 45:7 noticed 5:17 npdb 29:15 number 5:9 13:20 14:9 19:13 21:21 22:2,5 30:12 31:9,10 38:25 39:13 46:6 59:23 numbers 19:25 49:1 63:18 77:13 nutritionist 33:15	occurred 17:10 17:25 18:3,8 occurs 76:8 october 9:12 75:21,22 79:3 79:15 80:10,24 offer 11:11 13:10,11,13 office 1:13 2:20 2:22,23 8:11 9:3 50:4,12 officer 82:2 offsetting 22:19 oh 7:8,21 9:20 10:9 11:18,24 28:15 30:11 51:3 69:3 ohcfs 19:10 20:22 ohfc 16:13 okay 7:1,8 8:8 8:9,14,25 9:1 9:23 10:18,19 11:5,7,23,25 12:17 13:18 14:15 15:15 16:9,16 25:2,6 25:12 27:8 30:3 35:6,25 36:13 37:8,17 38:1,3 39:18 39:21 40:23 41:2,14 42:8 43:5 44:25 53:3,16,24	59:5 60:14 62:6 63:7 64:1 64:6,9 66:11 67:9,9 70:11 70:15 71:25 74:1,24 76:6 76:22 77:5 78:9 80:23 old 81:4 ongoing 62:14 online 10:23 11:3 66:13 70:3 80:15 open 66:11 74:17 opening 68:6 operations 3:4 opinion 64:21 opportunity 55:23,25 option 68:4 order 5:18 8:5 9:11 59:14 organization 6:6 organized 17:19 25:20 organizing 17:18 original 15:5,6 osi 2:19,21,22 2:23,24,25 5:9 5:19 13:21,25 30:8 35:4 50:2 58:19,24 71:24	ought 48:13,14 outcome 82:16 83:12 outpatient 16:12 19:4 28:25 37:19 38:5 39:9 outside 67:18 76:8,19 outstanding 24:14 69:13 overcharged 24:6 overhead 50:12 50:23 oversaw 12:14 overstating 48:5 own 32:19
o			p
o 5:1 o'clock 80:9,11 80:24 ob 34:1 36:23 objection 73:24 objections 13:13 73:17 obligation 17:25 obligations 19:16 observing 3:6,7 3:8,9,10,11 obviously 64:11 76:14			p 2:1,1 3:1,1 5:1 p.m. 1:10 81:8 page 4:2 11:17 11:18,21 12:1 12:18,21,24 14:7,8,17,18,19 14:19 15:10,11 15:17 17:20 19:20,20 25:2 25:13,19 27:11 32:11 33:6,19 33:21 37:22,24 39:22 43:2,4 44:12 45:6,10

46:7 51:1,12 53:2,5 pages 17:20 19:24 28:13 32:15 paid 17:1,6,12 20:10 21:24 26:2,3,7 27:9 27:14,15,18,20 27:25 28:8,19 29:4,6 30:18 30:19 31:12,14 31:19 43:25 50:11,18 54:1 59:15,18 60:18 62:17 63:10,11 paint 60:25 papers 50:2 par 27:20 28:20 part 18:10 30:14,16 65:7 72:9 participant 61:4,8,12 62:24,24 participants 5:23 6:2 62:9 participating 67:7 72:4 particular 15:25 22:14 40:12 65:3 parties 68:11 82:12,14 83:8	83:11 party 13:22 75:2,7,16 pass 9:12 64:25 past 30:24 31:2 59:5 61:23 64:7 72:14 73:18 pathology 39:10 patience 6:19 patient 55:12 57:12 61:3 63:8,14 patient's 1:1 5:10,18 12:10 patients 57:22 58:3 60:19 patricia 2:25 patterns 47:17 pause 8:23 14:22 pay 18:6 21:3,5 21:13 29:8 42:25 48:17 paying 53:19 54:13 55:2,10 payment 28:4 28:10 31:10 47:17 56:10 57:11 58:6 payments 16:25 21:16 30:1 46:5 54:2 54:3,20 57:2,3	57:16 58:8 61:10,11 62:12 payouts 26:12 60:17 61:25 62:14 pcf 1:8 2:3,5,6 2:8,10,12,14,16 4:4 17:25 18:5 19:1,12,14 20:8 24:7 26:2 27:15 30:21,21 32:19 33:3,17 34:10 38:11 40:12 43:11 46:11 47:18 50:20 55:24 56:13 pcf's 19:16 pcfs 33:9 34:8 50:15,15 pdf 15:3,5,6,11 37:25 pdfs 15:2 penny 48:21 people 59:1 62:12 71:14 74:9 percent 20:12 21:10,21 22:10 22:13 23:17 26:21 29:13 40:17 41:22 42:1,2,2,17,18 42:24 43:7 44:9,13,22,24	45:2,2 46:25 47:7,8 48:19 48:24 49:5,8 50:11,13 51:1 51:6,17 52:6,6 52:8,12 56:3 60:8 66:19 68:17,18 percentage 23:12 54:3 percentages 41:20 42:1 percentile 22:16 perform 13:7 performed 12:25 performing 65:21 period 46:9 periodic 57:2 person 8:2 phrase 16:5,7 16:23 physician 27:9 28:24 29:12 36:12 physician's 27:1 36:6 physicians 16:11,18 18:23 19:3,9 20:20 25:9 28:8 29:6 29:9 31:23 32:2,5,16
--	--	--	--

[physicians - proposals]

37:10 38:22 39:25 41:7 50:25 picks 46:14 picture 60:25 pieces 18:2 51:20 pin 10:8 pinch 75:19 pinnacle 2:18 9:5 pipeline 26:14 place 50:9 places 58:22 plaintiff's 79:16 plan 32:24 33:3 34:10 37:15,16 40:7 61:9 plans 32:21 played 14:25 plays 66:24 please 5:3,25 6:5,12,15,20 8:5 75:24 plus 24:17 42:4 point 12:24 21:25 25:24 58:2 65:1 67:21 policy 39:3 poll 73:15 portfolio 66:2 portion 27:1	position 24:13 24:22 possible 79:25 potential 29:14 34:5 39:5 55:11 potentially 29:16 57:11 74:25 practical 63:8 practice 38:23 74:20,21 practices 32:21 39:8 pray 80:8 predict 30:24 premise 30:23 premium 35:7 35:15 36:4 premiums 24:10 preparation 12:15 prepared 9:6 83:3 preparing 12:12,25 13:18 52:17 presbyterian 46:14 present 7:2 21:8,15,17,25 presented 9:7 presenters 6:12	presents 55:22 pressure 54:21 55:20 pretty 22:17 24:23 27:19 28:20 29:1,4 33:25 39:14 43:22 46:21,22 46:23 49:10 50:5,6 previously 54:1 pricing 39:24 primary 23:4,6 23:8 33:9 principal 2:17 print 15:1,11 printer 14:25 15:9,10 prior 17:18 18:5,12 19:6 24:18 25:22 26:8 27:18 45:2 82:5 probably 12:18 22:6 23:16 37:24 49:8 65:10 68:6 69:6 80:7 proceed 8:5 proceeding 11:12 81:9 83:4 proceedings 6:2 82:3,5,6,9 83:6	process 63:23 65:8 produce 21:12 42:16 44:7 produces 43:21 48:23 56:2 producing 56:1 product 45:14 profession 15:22 professional 33:10 54:11 64:20 profitable 37:4 37:4 program 13:22 23:1,1,24 27:1 30:2 40:5 52:19 59:22,23 59:24 61:5 67:24 program's 17:4 programs 59:2 60:7 progress 58:24 59:4 project 63:18 projected 44:18 47:2 59:11,25 projections 63:13 proposals 75:13 79:13
--	--	---	---

[propose - reduced]

propose 75:23 proposed 29:22 40:6 45:20 proposing 74:21 protective 35:4 provide 19:14 32:25 36:19 provided 13:21 30:7 58:19 60:23 70:21,22 provider 33:2 providing 40:22 public 76:9 82:18 pull 64:4 purchase 58:3 pure 35:15 purpose 32:7,8 purposes 72:13 put 9:14 21:4,6 24:16 54:21 70:4 73:20 puts 75:18	quasi 59:22 question 24:11 34:18 52:16 54:24 58:17 59:11 63:20 67:22 68:1 69:13,17 71:12 75:10 questions 11:8 53:16 66:12 69:21,24 70:3 70:13 72:3 quick 57:5 64:25 80:7 quiet 29:4 quite 50:11 59:11 quorum 8:2,4 76:19	36:20 38:4 49:21 75:20 rather 39:13 62:23 rating 36:3 37:14,16 ratio 35:15 43:21 44:8,14 46:24 ratios 46:8,22 ray 2:8 39:12 77:24,25 78:3 78:12,13,22 81:6 ready 72:3 79:8 real 64:25 realize 20:9 52:17 75:11 really 26:8 27:2 27:13 28:12 31:2 44:16,17 47:19 50:21 52:1 60:24 68:12 69:5,16 70:16 76:24 77:9 reasonable 34:10 reasons 26:14 27:24 29:14,16 56:12 59:17 receipts 39:13 recent 28:20 35:1	recognize 12:3 15:11 23:21 recommend 66:17 recommenda... 9:11 50:24 51:16 66:18 73:18,19 75:20 recommenda... 12:9 39:24 72:7,15 77:2,9 recommended 9:9 30:4 47:13 recommending 41:11 record 5:4,5,9 6:1,7,15,18 7:7 11:12 82:9 83:5 recorded 82:6 recording 82:8 83:4 recoup 45:18 recouping 41:5 52:15 recoupment 45:21,23 recovery 29:9 recycled 15:14 recycling 15:12 reduce 53:11 67:25 reduced 27:22 82:7
q	r		
quadriplegics 55:15 qualified 13:10 82:7 quality 39:10 quantify 54:9 quarter 39:6 40:13	r 2:1 3:1 5:1 radically 54:3 raising 70:12 raquel 3:6 rate 13:24 32:8 32:22 35:1 36:3,5,5,8,11 38:18 40:2 42:16 48:19 49:18 52:5 67:18 rates 1:2 5:11 5:19 9:9,12 14:2 30:21,22 30:22 34:23		

[reduction - ritchie]

reduction 25:11 referenced 19:3 references 14:20 reflect 45:20 50:7 reflected 17:16 18:16 19:25 reflection 40:9 reflects 16:17 regarding 11:8 regensberg 2:22 rehabilitation 38:14 reinvested 65:24 related 14:2 63:6 67:22 82:11 83:7 relates 55:11 relationship 31:14 relative 27:19 59:24 66:2 82:13 83:10 relatively 80:7 relativities 33:4 33:8,8,24 35:15,15 37:1 remember 17:24 44:1 46:4,10 76:7 77:19	remove 22:5 repeat 6:17 replaced 78:6 report 9:8,17 9:19 10:1 11:17 12:7,12 12:14,16 13:1 13:4,11,19 14:19 17:16,18 25:3 26:25 32:6 37:22 52:17 53:14,15 65:10 77:9,16 reported 1:21 30:18 31:18 reporter 5:3,5 6:1,14,16 8:21 reporting 29:15 30:22 represent 6:6 represents 23:12 required 75:15 75:15 requirements 47:3 reserve 28:11 43:18 reserves 15:19 15:24 16:7,17 16:23 17:3,7 17:14,15 18:7 18:9,16,21,22 19:5,6 20:4,7 20:17 21:12	22:9,16,20 24:2 27:10 28:9 32:8 42:12,12 47:20 47:21,24 48:1 48:7 49:15,19 reserving 62:8 resigned 7:20 8:1 resolve 17:9 resolved 18:12 respect 76:8 77:1 responsibility 19:17 restated 43:14 result 23:2 57:11 resulted 28:3 results 76:3 resume 4:3 9:15,22 10:24 11:12 resume's 10:7 retire 68:13 return 21:7,10 48:23 60:4 66:8 returns 56:1,3 60:6 65:4 revenue 47:9 48:22 revenues 39:16 review 35:5	rid 66:6,6 right 7:22 8:15 10:10 11:20 12:2,20,21 14:12,13,15 18:15 19:2 20:19 25:25 26:1,9 28:17 41:21 42:7,20 45:5 47:22,25 51:12,13,14,20 52:3 56:25 57:24 62:3 64:5,19 65:16 66:11 67:15 71:21 73:1,5 73:11 75:12 76:2,10,11 77:10 78:7 79:10 80:22 81:2,5 risk 33:14,17 35:8 38:21 39:2,17 41:17 42:8,9,13,14,21 43:7 51:2,4,7 51:16 52:5 56:12 60:15 68:19 69:6 risks 57:15,20 ritchie 1:7 2:3 5:2,6,7 7:1,2 8:3,8,13 10:9 10:17 11:3,10 15:6 41:21,24
--	---	---	---

[ritchie - signal]

42:7 52:3 53:17,22,24 54:23 56:17,25 57:5,8,24 58:5 63:3,5 64:10 64:14,19,24 65:16 66:11,14 67:10,15,20 70:4,9,11,15,20 70:25 71:5,9 71:16,18,23,25 72:8,19,22 73:1,5,7,9,14 73:22 74:1,12 74:24 75:10,22 75:25 76:3 77:15,20,24 78:2,7,18,24 79:2,5,10,15,19 79:22 80:9,13 80:22,24 81:2 road 57:19 61:14 rob 9:5 robert 2:17 3:7 4:3 robustly 58:21 role 12:11 roll 6:20 18:8 rolling 18:13 46:10 64:15 roman 2:14 7:23 room 14:24 66:12	roost 44:4 row 42:22 44:8 44:16 47:2,4,6 48:20 50:4,5 rule 74:12 ruling 76:18 run 57:13 s s 2:1 3:1 4:1 5:1 salazar 2:25 saw 20:3 44:4 59:18 saying 69:3 says 15:19 26:1 26:2 scenario 61:13 scenarios 22:11 scheduling 5:18 scope 13:3 67:18 76:9 screen 15:4 74:5,11 scroll 10:21 12:17 14:7 28:13 33:5 34:16 43:1,3,9 44:11 45:3 47:6 51:11 second 10:15 14:22 16:12 46:1 61:15 66:7 section 14:17	see 10:22,23,23 10:25 17:14 18:19 23:3,4,8 26:5,18 27:11 28:13,18 29:23 30:15,16,17,17 30:18,19 33:2 33:11,12 35:14 37:20 40:1 42:17 43:7,22 46:8 50:9 53:4 58:21 61:13 74:1,4 seeing 11:2,5 62:16,17,18,21 70:11 seems 77:6 select 9:21 selected 44:6 46:24 selection 75:16 79:4,6,7 sense 22:6 31:17 39:11 42:20 48:11 separate 40:9 separately 17:2 september 1:9 5:13 services 2:18 9:6 set 60:21 66:18 68:15 73:4 setting 39:12 39:12	settled 18:4 60:17 settlement 19:18 29:7 30:21 31:13,20 54:12 55:5,21 56:9 settlements 54:19 55:10 57:21 62:13 seventeen 43:23 severely 61:16 severities 31:2 31:2 severity 22:15 22:23,24 31:11 33:14 sharing 74:6 sheet 17:5 47:21,23 48:8 shifting 54:19 55:9 57:1 shifts 62:15 short 79:23 show 20:4,6,15 22:9 62:15 showed 41:5 showing 45:11 shown 39:7 47:15 shows 52:14 side 26:1 55:22 signal 7:5
---	---	---	--

[signature - sums]

signature 82:16 83:13 significant 22:18 similar 14:4 35:23,24 59:2 similarly 43:17 simple 29:19 simpler 45:10 simply 32:2 38:21 77:1 singular 27:3 situation 39:15 45:17 sixty 32:12 size 22:25 23:8 skating 61:22 skewed 29:6 skills 82:10 83:6 slight 49:22 slow 6:17 slowdown 29:24 slowing 62:12 small 76:19 society 3:3 somebody 33:15 60:3 soon 58:20 sorry 7:21 9:23 10:19 41:15 43:2 57:7 65:17 70:24	sort 24:6 sorts 29:14 59:16 66:9 sound 67:5 sounds 69:19 78:21 space 71:6 spare 73:14 speak 6:12 8:13 70:12 72:10 speaker 8:23 11:1 44:10 74:6,8 specialties 33:13 38:23 specialty 32:6 32:23 35:16 36:6,12 spent 60:5 split 52:2 spreadsheets 12:15 st 46:14 staff 12:14 50:2 50:3 58:24 stand 25:25 standard 36:20 36:22,23 standards 49:17 starace 7:19 start 5:2 8:7,25 53:17 starting 8:6 35:3 44:13	state 6:15 14:2 34:7 36:7,18 82:19 statement 70:16 statistical 20:12 22:17 statistics 14:3 status 61:5 statutorily 52:18 stay 25:5 66:25 67:23 68:12,14 staying 67:7 step 56:24 66:5 66:7 stephen 2:19 8:10 9:2 81:1 steps 75:14 stop 14:10,15 33:22 74:6 story 27:14 streamlining 73:21 striving 24:16 structured 54:12 55:5,9 62:13 struggle 15:3 studies 59:6 study 14:4 43:18 stumped 69:22 stymied 27:2	subcommittee 72:6,14,25 73:17 74:19 76:4,13,13 77:8,8 subject 13:11 30:25 submit 79:13 submitted 35:4 subsequent 77:11 subsidizing 36:24 subtle 15:23 sufficient 24:14 36:19 suggest 54:18 suggestions 34:12 suite 1:14 5:15 sum 54:2,2,19 55:21 56:9 57:11,16,21 58:5,7 summarizing 12:8 summary 17:20 20:1 25:19 28:12 39:24 41:6 52:13 summit 70:19 70:23 sums 56:21 57:2
---	--	--	---

[sunset - thies]

sunset 52:15 superintendent 1:13 8:11 9:3 9:10,11 66:17 66:18 75:5,20 superintende... 75:15 support 35:16 supporting 47:25 supposed 5:12 79:13 surcharge 1:2 5:11,19 32:9 41:5,6,8 43:15 45:17,20 47:9 48:12,21 50:18 53:5,10 58:20 67:24 68:17,17 69:7,15 surcharges 30:4 40:17 43:12,15,24 44:7,20 47:2 47:13 48:20 49:5,7,10 50:13 51:23 52:24 66:19 69:6 sure 14:23 21:2 30:11 32:13 34:25 35:20 38:16 39:23 41:18 42:11 45:7 46:3	49:14 50:1 60:1,13 63:3 63:24 surge 26:15,16 29:24 surgeons 16:11 16:18 18:23 19:4,9 25:9 27:9 28:25 36:24 39:25 41:7 50:25 surgeries 55:8 surgery 34:2,2 34:3,3 63:15 surgical 33:16 34:4 surplus 24:1 sworn 82:5 system 32:20 t t 4:1 tab 9:21 table 14:20 15:18 16:10,16 17:14,19 19:25 20:3,3 33:19 35:10,22 43:15 45:2,9 take 10:22 17:9 18:11 19:15,15 23:15 27:17 30:14 36:5 42:1,3 47:13 61:16 73:22 78:12	taken 43:11 82:3,12 83:9 taketh 18:6 talk 35:21 46:3 50:5 73:2 74:23 talked 58:12 talking 16:2 23:15 27:3 29:18 31:1 33:20 34:1,3 35:22 47:21,22 50:10 55:14 81:3 task 68:5 tasks 12:25 13:7 tdc 32:22 50:17 tdcs 23:5 teams 5:17 technical 8:24 techniques 30:12,13 31:9 31:16,22 technology 55:7,13 57:10 telephone 5:17 5:22,23,24 6:4 tell 34:23 58:2 58:19 62:11 74:14 ten 43:11 55:15 tend 23:2 65:13 term 16:5,6 31:13 46:24	terminology 15:23 terms 34:22 63:8 66:16 terrible 58:15 testifying 82:5 testimony 13:12 text 14:8 thank 5:6 6:18 8:3,8,9 9:1 11:4 14:6 37:5 51:14 63:7 64:9 71:10,23 71:25 72:4 74:24 78:24 81:5,7 theoretically 56:19 therapies 55:16 thies 2:19 6:22 8:7,9,10,14,25 9:2,20 10:3,6 10:10,18,21 11:7,11,16,21 11:24 12:2,5 12:11,17,21,23 13:5,9,18 14:6 14:11,14,23 15:15 16:9,16 16:20,22 17:13 18:14 19:2,19 19:23 20:18,25 21:17,20 22:22 23:10,18 24:17
---	---	---	--

[thies - tweak]

24:24 25:2,7 25:14 29:5 30:3,9 31:21 32:5,10,13,18 34:11,16,19 37:7,9,13,17,20 38:12,17 39:18 39:21 40:18,23 41:2,10,14,16 42:8 44:25 45:3,23 46:1 47:12 49:24 50:24 51:4,6,9 51:15,25 52:4 52:8,11,16,21 52:25 53:9,13 53:16 66:13 67:22 69:18,20 70:14 71:14 72:5 75:7,11 77:10 79:7,11 thing 9:13 10:12 23:3 25:21,24 33:12 36:10 54:7,8 54:14 61:16 things 29:21 30:1 31:6 34:5 46:17 50:14,15 61:7 66:9 75:1 79:19 think 8:20 9:20 14:1 16:24,25 17:3,8 19:11 21:23 30:8	32:4 34:9 44:6 44:14 51:18,20 52:1 57:18 66:5 67:18 68:2,11 69:17 72:1,3 74:19 75:18 77:20,23 77:24 78:13 79:12 thinking 68:6 69:2 third 13:22 75:2,7,16 thoracic 34:3 thought 57:6 69:10 78:3 thoughtful 65:25 thousand 26:14 27:24 30:1 three 21:4,5,8 40:1 41:1 70:5 80:5,7,9,11,24 throwing 49:1 thursday 79:14 79:23 80:2 tiegler 3:9 time 5:13 13:9 20:7,9 22:13 38:22 42:19,24 47:16 48:5,15 48:18 49:9,21 53:11 54:14 56:22 63:4 64:16 71:22	73:13,15,15 74:15 timeframe 45:19 times 6:16 31:10 36:5 42:3 65:10,11 titled 5:9 today 5:13,14 8:12 9:4 today's 6:18 43:24 together 17:7 64:4 tomorrow 17:12 took 27:7 top 9:22 11:19 20:2 33:6 51:23 64:22 total 19:9 26:8 26:22 52:6 totality 17:8 toward 6:12 75:14 towards 12:22 52:9 61:22 toyota 36:8,10 tpa 50:3 71:19 74:23 75:2,25 79:3 training 13:5 transactionally 38:24	transcriber 83:1 transcript 83:3 83:5 transcriptionist 82:8 tremendous 55:19 trend 38:8 62:20 64:23 trended 38:9 43:20 tricky 54:6,7 tried 34:6 trivial 68:5 trouble 6:24 troy 2:10 6:22 7:6 77:20,21 78:4,5 true 63:19 67:4 72:8 82:9 83:5 truth 26:15 29:17 try 10:3 15:4 32:25 trying 14:1 45:17 50:7 67:13 72:19 tube 61:7 tuesday 1:9 79:24 turns 27:22 tweak 76:20 77:12
--	---	--	--

[twist - walling]

twist 72:20 two 14:5 16:11 18:2,19 19:1 19:20,23 26:23 28:13 32:15 33:9 37:6 44:2 46:15 51:20 52:14 53:6,8 53:20 54:3 75:13 78:6 80:4 type 38:14,18 38:21 types 38:23 39:9 typewriting 82:7 typically 38:22 56:2 72:24 74:16 typing 6:9	uncertainty 55:20 uncommon 23:3 undefined 68:15 under 10:8 68:14 underhanded 54:8 underlying 23:8 30:23 35:12 36:14 62:16 underpinning 49:12 understand 76:24 understood 49:15 60:11 undiscounted 20:22 21:23 22:2,5 23:11 unfairly 36:21 unfortunately 34:4 unidentified 8:23 11:1 44:10 74:6,8 unity 42:6 unpaid 14:17 15:16,20,24 16:2 17:2 20:4 updating 6:8	uptown 1:14 5:14 use 16:8 30:11 30:15,24 31:21 31:22 32:1 63:12 used 9:8 14:4 15:25 16:3 30:5 useful 31:3 using 23:23 31:8,15 39:15 62:22 utilize 13:19	verdict 29:24 verdicts 29:20 versa 29:9 versus 59:15 vice 2:5 7:3,9 29:9 videoconfere... 2:7,9,11,13,15 5:17,22,23 6:4 vince 71:13,16 72:24 74:2,13 75:24 76:17 vincent 2:6 vincent's 46:14 virginia 55:1 56:2 61:2 63:25 virtually 69:20 visibility 65:20 visits 38:15,19 38:25 39:2,3 39:11,13,15 volatile 29:19 volatility 28:22 55:11,12 56:7
u		v	
uh 63:22 ultimate 16:17 16:23 17:7,8 18:16,21,22 19:18 20:4 26:17,19,22 27:7,22 28:4 28:20 31:12,20 43:17,20 46:5 ultimately 12:15 77:3 ultimates 26:20 27:9,19		value 20:7 21:8 21:15,17,23,25 39:4 43:13 47:16 48:5,16 48:18 49:9,21 67:13 vargas 2:8 7:17 7:18 72:17 77:22 79:21 80:18 variability 28:23 56:8 variable 60:10 varied 72:16 variety 30:20 vary 68:18,25 vascular 34:2 vehicle 55:3 venue 71:20	
			w
			w 29:11 wage 55:2 wait 9:20 walling 2:17 4:3 8:6 9:5,16 9:18,21,24 10:2,4,7,14 11:22 12:2,4,7 12:13,23 13:2

[walling - yeah]

13:8,10,20 14:10,13,16,21 14:24 15:8,13 16:15,19,21,24 17:17 18:18 19:11,22 20:2 20:20 21:2,19 21:22 22:24 23:14,19 24:20 25:1,4,12,16 28:16,18 29:10 30:7,11 31:24 32:7,17,19 33:22 34:13,20 34:25 35:9,20 35:24 36:2,17 37:12,14,18,22 37:24 38:2,4 38:16,20 39:20 39:23 40:21,25 41:4,12,15,18 41:23,25 42:11 43:6 44:11 45:1,7,25 46:3 47:15 49:2 50:1 51:3,5,8 51:11,14,18 52:1,7,10,12,20 52:23 53:1,4 53:12,15,21,23 54:6,25 56:23 57:1,15 58:11 58:23 59:9,16 60:2,13,24 62:2,4,7 63:20	63:23 64:2,8 64:13,17,20 65:6,17 66:15 66:21,23 67:8 67:12,16 68:1 68:20,23 69:1 69:4,9,16,22,25 70:15,18,21 71:4,8 74:22 79:4 walling's 9:14 10:24 11:8 want 8:15 21:4 53:14 57:17,17 64:22 65:19 76:6 78:12 wanted 24:25 49:14 wants 77:7 ward 2:6 71:15 71:17,21,24 72:21,23 73:4 74:3,14 76:5 76:12,22 way 11:17,18 13:19 14:14 17:19 21:22 22:8 24:16 25:14 28:14 38:21 48:23 49:15,17 52:15 54:8 66:24 68:12 69:10 ways 61:21	we've 7:11 14:4 22:8 29:10 34:6 38:9,9,10 39:7 42:15 43:10,11 44:6 46:23 54:9 65:24 66:24 74:15 wednesday 79:20 wednesdays 79:22 week 79:9,12 weeks 75:13 79:1 went 19:24 27:10,10 28:21 whatsoever 76:16,25 wheelchair 61:6 whoa 10:6,6,6 william 1:7 2:3 5:7 willing 72:17 wisconsin 24:7 33:9 58:21 65:22 witness 82:4 words 20:8 work 50:2,2 58:24 59:3 61:15 76:21 77:1 80:14,16 80:19,21	workers 54:9 61:16 working 10:13 14:25 58:24 65:2 76:16,18 works 80:18 worse 54:20 worth 43:24 44:4 48:4 54:12 write 72:14 73:3,18 writing 23:5 wrong 34:5 51:19
			x
			x 4:1 39:12
			y
			yeah 6:25 11:3 15:8,13 19:23 22:18 23:16 24:21 25:7 28:18 29:21 33:6,22 34:19 37:20 38:2 39:20 40:21 44:1 47:11 49:3,4,9 56:14 64:8,10,13,23 65:19 66:22 67:3,4,9,16 68:15 69:8,11 69:23 70:9,25 71:4,23,24

[yeah - zero]

72:9 73:5 75:10 76:5,22 77:14,15 78:1 78:11,18,20 80:12,16,20 year 1:2 5:11 18:8 19:6,17 24:19 25:20,22 25:22 26:4,7 27:4,16 28:1 29:1,3,4 30:2 31:6 34:13,15 38:10,19 40:18 40:22 44:3 49:1 50:9 52:14,19 59:17 59:19 61:24 65:11,11 67:1 67:18 69:3,12 73:13,15 78:8 78:14,15,17 year's 17:16,18 48:10 49:10 77:17 years 17:12 18:5,12 21:4,5 21:9 26:6,8,10 26:13,23 27:18 27:21 28:20 31:7 43:11 44:2,5 46:9,19 50:3 53:6 55:15 56:5 57:23 59:6 61:23 63:11	72:16 78:6 yep 9:25 25:16 45:25 49:3 51:5 52:10 york 61:2 63:25 z zero 37:13 41:21,22,22
--	---

ROBERT WALLING III, FCAS, MAAA, CERA

Principal and Consulting Actuary | Biltmore Lake, North Carolina



Rob is primarily focused on product development, ratemaking and loss reserving studies for captive insurance companies, risk retention groups (RRGs), self-insurance programs and admitted insurance companies.

He is the appointed actuary and/or loss reserve specialist for scores of domestic, Bermudian and other international insurance companies, RRGs, captive insurance companies and self-insurance programs. Rob has also been advisor to more than 20 state insurance departments and government insurance programs, and a partner assisting captives, RRGs and insurance companies developing commercial insurance products and pricing, including innovative coverages and emerging markets.

Rob is a subject matter expert on actuarial, risk management and commercial insurance matters, such as captive insurance program design, ratemaking, loss reserving and reinsurance. He is also an experienced actuarial specialist in the trucking industry, including admitted, excess and surplus, and alternative markets. He further provides legislative costing and industry studies to state and national associations with insurance interests as an actuarial advisor.

- ★ Qualified Actuary per the National Association of Insurance Commissioners (NAIC)
- ★ Qualified to sign statements of actuarial opinion per the American Academy of Actuaries (AAA)

YEARS OF EXPERIENCE

34

Task Force to Revise ASOP No. 30, 2021 – Present
Task Force to Revise ASOP No. 7, 2022 – Present

AREAS OF FOCUS

Captives/Alternative Markets, Commercial Lines Ratemaking
Loss Reserving, Regulatory Support, Expert Testimony,
Legislative Costing, Enterprise Risk Management (ERM)

EDUCATION

Miami University (Oxford, Ohio), 1987
B.S. Education
Certification in Secondary Mathematics Education

CERTIFICATIONS

Casualty Actuarial Society (CAS), Fellow, 2001
AAA, Member, 1995
Chartered Enterprise Risk Analyst (CERA), 2013

CURRENT VOLUNTEERISM

CAS Finance Council, 2015 – 2018, 2023 – Present
International Center for Captive Insurance Education (ICCIE)
Instructor, 2016 – Present
Actuarial Standards Board
Task Force to Revise Actuarial Standard of Practice
(ASOP) No. 20, Chair, 2021 – Present

THOUGHT LEADERSHIP HIGHLIGHTS

- “4 Ways to Define Captive Insurance,” Vermont Captive Insurance Association (VCIA), August 2023
- “Risk Retention Groups,” Tennessee Department of Insurance, July 2023
- “Trying to Understand Actuarial Reports,” Vermont Department of Financial Regulation, June 2023
- “ESG Opportunities for Captives (and Others),” Zurich North America Actuarial Conference, June 2023
- “What Excess and Surplus Lines Can Tell Us About Captive Insurance,” Best’s Review, Issues & Answers, May 2023
- “Expectations and Impacts: Captive Solutions for Availability and Affordability Challenges,” North Carolina Captive Insurance Association (NCCIA) Annual Conference, May 2023
- “Risk Transfer and Risk Distribution – Where We Stand Today,” Tennessee Captive Insurance Association (TCIA), November 2022
- “2022 Update – Unavailability vs. Unaffordability Distinguished in Today’s Context,” National Risk Retention Group (NRRG) Annual Conference, November 2022
- “ASOP Nos. 20 & 36: Proposed Changes,” AAA Webinar, August 2022

On **Captive Power 50** list for **five consecutive years**

45+ Articles in numerous publications

Expert Testimony for **25 Matters**

Presented at **40+ Education Seminars**

PROFESSIONAL PUBLICATIONS

- "What Excess and Surplus Lines Can Tell Us About Captive Insurance," Best's Review, Issues & Answers, May 2023
- "Pinnacle at 20: By the Numbers," Pinnacle Blog, February 2023
- "What Can a Rope Bridge Teach Us About Kindness and Hidden Struggles?" Pinnacle Blog, July 2022
- "Introducing! The Versatility of Hybrid Captives!" Pinnacle Blog, May 2022
- "Saving Scott's Ridge," Pinnacle Blog, April 2022
- "Rules Enable Innovation – Professionalism Challenges for Innovative Actuaries," with Kendra Letang, Contingencies, January 2022
- "Cayman Focus 2022 – Featuring Cayman Awards – Taking a fresh approach," Interview with Captive International, December 2021
- "Expected Adverse Deviation as a Measure of Risk Distribution," with Derek Freihaut, Variance, November 2021
- "What's an Innovative Actuary to Do?" Captive Review, Cayman Report, January 2021
- "Risk Retention Group Benchmarking Study," with Erich Brandt and Gregory Fears Jr., 2018 – 2022
- "The Case for ERM," Best's Review, Issues & Answers, August 2020
- "Enterprise Risk Captives: Made for a Time Like This," Captive Review, May/June 2020
- "Risk (and Opportunity) Everywhere," Captive Review, Cayman Report, November 2019
- "Captives Are Hard Work... And Worth It," Captive Review, How to Start a Captive Report, May 2019
- "Captive Insurance: An Ideal Tech Start-Up Risk Management Tool," Captive Review, Cayman Report, November 2018
- "Expected Adverse Deviation as a Measure of Risk Distribution," with Christopher Holt and Derek Freihaut, Variance, November 2018
- "Focused on Insurtech: Don't Miss the Bigger Picture," Pinnacle Actuarial Resources Monograph Program, July 2018
- "Is it Time for Service Provider Regulation?" Captive Review, May 2018
- "A New Safe Harbor is Empowering Captive Owners to Go It Alone," Risk & Insurance Insights, March 2018
- "The Future of ERC Captives," Best's Review, Issues & Answers, August 2017
- "The Actuary's Role in Captive Formation," Captive Review, How to Start a Captive Report, 2017
- "Common Ground With The IRS?" Captive Review Domiciles, April 2017
- "The Case for Birth Injury Funds," Pinnacle Actuarial Resources Monograph Program, March 2017
- "A Guide to Actuarial Reports," International Risk Management Institute (IRMI), March 2017
- "Diversification in the Medical Professional Liability Market," Inside Medical Liability, PIAA, First Quarter 2017 (also published in Pinnacle Actuarial Resources Monograph Program, January 2017)
- "Puerto Rico: The Right Place, the Right Time?" Captive Review, November 2016
- "Workers' Comp: Approaches That Work," with Jing Liu, Captive Review, October 2016
- "Will Captives Capitalize on Analytics?" IRMI Captive Insurance Company Reports, October 2016
- "How Do Actuaries Preserve Their Market Value?" Actuarial Review, September/October 2016
- "Your Results May Vary," with Erich Brandt and Gregory Fears Jr., Risk Retention Reporter, September 2016 (also published in Pinnacle Actuarial Resources Monograph Program)
- "The Captive Actuary's Expanding Role in the Era of Big Data," Captive Review, Captive Start-Up Report 2016, September 2016 (also published in Pinnacle Actuarial Resources Monograph Program)
- "Captive Expertise," Best's Review, Issues & Answers, August 2016
- "The Benefits of Automated Underwriting," Pinnacle Actuarial Resources Monograph Program, May 2016

- "More Than Insurance, Homegrown Vermont RRG Protects Land that Americans Love," The Captive Chronicle (VCIA Newsletter), May 2016
- "A Deep Dive into the Casualty Group Captive Space," TerrillConnect Interview, March 2016
- "Healthcare Provider Captives: An Alternative Approach to Evolving Coverages," Inside Medical Liability, PIAA, First Quarter 2015
- "The Battle for Smart Creatives," Actuarial Review, May 2015
- "Expert Captive Analysis," Best's Review, Issues & Answers, August 2014
- "Innovative Uses of Captives for Health Care Providers," Pinnacle Actuarial Resources Monograph Program, August 2014
- "Using the Hospital Medicare Licensee Database for Analytics," Pinnacle Actuarial Resources Monograph Program, October 2013
- "Effects of Loss Reserve Margins on Calendar Year Results – Balcarek Expanded," with Erich Brandt, CAS E-Forum, Fall 2013
- "External Peer Review," Pinnacle Actuarial Resources Monograph Program, January 2013
- "DD&R Reserves for Claims-Made Professional Liability Coverage," with Jessica Lasher, Johnson & Lambert Industry Insights, September 2011 (also published in Pinnacle Actuarial Resources Monograph Program)
- "Improving Commercial Casualty Claims Handling with Predictive Analytics," Pinnacle Actuarial Resources Monograph Program, October 2010
- "How I Became a Negative Patient Outcome Statistic – and What I Learned," Physician Insurer, Second Quarter 2010
- "Underwriting Power Tools for Small Business Insurance," Pinnacle Actuarial Resources Monograph Program, September 2008 (reprinted in National Association of Mutual Insurance Companies [NAMIC] Farm Forum, 2009)
- "Medical Malpractice Predictive Modeling: A Push-Me-Pull-You Proposition," Physician Insurer, First Quarter 2008
- "Commercial Auto Predictive Modeling: The Time Is Now," Pinnacle Actuarial Resources Monograph Program, September 2007 (reprinted in Best's Review as "Rules of the Road: Predictive Modeling Can Help Commercial Insurers Set Premiums," October 2007)
- "Having to Say You're Sorry: A More Efficient Medical Malpractice Insurance Model," Contingencies, November/December 2006
- "I Like You as a Neighbor, But We're Not Sharing Checkbooks (Opportunities for Public Entity Groups)," Public Risk Magazine, June/July 2006
- "What Makes an Effective Captive Application: Actuarial Do's and Don'ts," Captive Chronicle, June/July 2006
- "Medical Malpractice Insurance: A Call for Efficiency," Pinnacle Actuarial Resources Monograph Program, May 2006
- "The Case of the Medical Malpractice Crisis: A Classic Who Dunnit," CAS E-Forum, Summer 2004
- "Are You Ready to Unlock the Power Hidden in Your BOP Application?" Pinnacle Actuarial Resources Monograph Program, July 2003
- "A Dynamic Approach to Modeling Free Tail Coverage," CAS E-Forum, Fall 1999
- "Customizing the Public Access Model Using Publicly Available Data," CAS E-Forum, Summer 1999
- "Using the Public Access DFA Model: A Case Study," CAS E-Forum, Summer 1998

PROFESSIONAL PRESENTATIONS

Scores of presentations at educational seminars conducted by the CAS and other industry organizations on topics, including:

- Captives and alternative markets pricing and loss reserving
- Ratemaking and product development for workers' compensation, general and professional liability, commercial automobile, and innovative coverages and emerging markets
- Actuarial professionalism
- Medical professional liability issues
- Self-insurance program design, funding and reserving
- Legislative costing for medical professional liability, workers' compensation, commercial auto liability, contractors' liability

Presentations at educational seminars include:

- American Association of Insurance Services (AAIS) Conference
- Bermuda Captive Conference
- British Virgin Islands Captive Insurance Educational Conference
- Captive Alternatives Annual Meeting
- Captive Insurance Companies Association (CICA) Annual Meeting
- CAS
 - Casualty Loss Reserve Seminar (CLRS)
 - Central States Actuarial Forum
 - Midwestern Actuarial Forum
 - Ratemaking Seminar
 - Ratemaking and Product Management (RPM) Seminar
 - Special Interest Seminars
 - Spring and Fall Annual Meetings
 - Webinar Program
- Delaware Captive Insurance Association Annual Meeting
- Farm Bureau Actuaries Conference
- Illinois State University – Katie School of Insurance – Financial Regulators Program
- Insurance Managers Association of Cayman (IMAC)
 - Annual Meeting
 - Summer Educational Conference
- Insurance Regulatory Examiners Society (IRES)
- ICCIE Webinars
- Montana Captive Insurance Association Annual Conference
- National Association of Insurance Commissioners Quarterly Meetings
- National Association of Mutual Insurance Companies (NAMIC)
 - Commercial Lines Underwriting Seminar
 - Annual Meeting
- NRRA Annual Meeting
- NCCIA Meeting
- Oxford Risk Partners Annual Conference
- Property Casualty Insurers Association of America (PCI) Joint Marketing and Underwriting Seminar
- Physician Insurers Association of America (PIAA) Annual Meeting
- Public Risk Management Association (PRIMA) Annual Meeting
- Risk and Insurance Managers Society (RIMS) Conference
- Self-Insurance Association of America (SIAA)
 - Annual Conference
 - International Conference
- Society of State Filers
- SCCIA Meeting
- TCIA Conference

- USA Risk Annual Conference
- VCIA
- Western Regional Captive Insurance Conference (WRCIC)
- Willis Re Healthcare Reinsurance Forum

EXPERT TESTIMONY

Florida Office of Public Policy and Governmental Accountability	2004 – 2007
Florida Office of Insurance Regulation	2014
Illinois Department of Insurance	2010
Indiana State Medical Association	2014, 2016
Maine Joint Standing Committee on Insurance and Financial Services	2004
Maryland Insurance Administration	2013
Maryland Legislature	2014 – 2020
Massachusetts Division of Insurance	2012
Michigan Office of Insurance and Financial Regulation	2007 – 2008
Missouri Division of Workers' Compensation	2009 – 2012; 2020
Missouri Second Injury Fund	2011 – 2013; 2017 – 2020
New Mexico Patients Compensation Fund	2002 – 2019
New York Department of Financial Services	2010 – 2021
New York Medical Indemnity Fund	2011 – Present
Ohio Medical Malpractice Commission	2003
Oregon Medical Association	2005
Oregon Prof. Panel for Analysis of Medical Professional Liability Ins.	2004
Oregon Construction Claims Task Force	2006
Republican Governors Association, an Analysis of the Impact of Workers' Compensation Reform in Nevada	2005
Virginia Birth Related Neurological Injury Compensation Program	2003 – 2010
Virginia State Corporation Commission, Bureau of Insurance	2011 – 2020
Virginia Medical Society	2008
Wisconsin Assembly Committee on Insurance	2005
Wisconsin Injured Patients and Families Compensation Fund	2007 – 2016
Wisconsin Medical Society and Wisconsin Hospital Association	2005, 2007

Numerous written and oral testimonies in support of arbitrations, mediations and litigations associated with commercial lines insurance issues in numerous venues, including the U.S. Tax Court, U.S. Bankruptcy Court, U.S. District Courts and state courts.

APPOINTED ACTUARY

Affirmative Direct Insurance Company	2021 – Present
American Risk Management Risk Retention Group	2016 – Present
American Trucking and Transportation Insurance Company, RRG	2018 – Present
Argo Capital Group, Ltd.	2022 – Present
Asset Protection Program Risk Retention Group	2014 – 2019
Aviation Alliance Insurance Risk Retention Group, Inc.	2012 – 2019

Bay Insurance Risk Retention Group, Inc.	2017 – Present
Brooklyn Specialty Insurance Company RRG, Inc.	2021 – Present
Canopy Risk Retention Group, Inc.	2019 – Present
C.A.R. Risk Retention Group, Inc.	2016 – 2021
Cedar Rapids Insurance Ltd.	2003 – 2021
Commercial Hirecar Insurance Company Risk Retention Group, Inc.	2021 – Present
Continuing Care Risk Retention Group	2015 – Present
Emergency Medicine Professional Assurance Co. RRG	2016 – Present
Fergus Reinsurance Ltd.	2018 – Present
Florida Lawyers Mutual Insurance Company	2010 – Present
Fortive Insurance Company	2018 – Present
Future Care Risk Retention Group, Inc.	2020 – Present
Graph Insurance Company, RRG	2018 – Present
Great Plains Casualty, Inc.	2007 – 2020
Healthcare Professional Long Term Care Risk Retention Group, Inc.	2021 – Present
Healthcare Professional Risk Retention Group, Inc.	2021 – Present
Highland Fidelity Limited	2014 – 2021
Hoxbridge Insurance Company, Inc., a Risk Retention Group	2023 – Present
Interstate Insurance Company Risk Retention Group, Inc.	2021 – Present
Loxdon Insurance Company, Inc., a Risk Retention Group	2023 – Present
LTC Insurance Company Risk Retention Group, LLC	2021 – Present
Missouri Doctors Mutual Insurance Company	2015 – Present
Notting Hill Risk Retention Group, LLC	2021 – Present
Palo Verde Insurance Company, Ltd.	2018 – Present
Pamlico Insurance Company Limited	2016 – 2021
PCH Mutual Insurance Co., Inc., A Risk Retention Group	2016 – Present
Peace Church Risk Retention Group (A Reciprocal)	2022 – Present
Peninsula Insurance Company, Ltd.	2008 – Present
Primary Care Insurance, a Risk Retention Group, Inc.	2021 – Present
Professional Transportation RRG, Inc.	2022 – Present
Romulus Insurance Risk Retention Group	2015 – Present
SCRUBS Mutual Assurance Co. Risk Retention Group	2016 – Present
STAR Mutual Risk Retention Group	2021 – Present
Terra Firma Risk Retention Group	2014 – 2020
The Captive Advantage for Human Services	2012 – Present
Traders and Merchants Insurance Company, Ltd.	2015 – Present
YRIG Risk Retention Group, Inc.	2020 – Present

Currently provides statements of actuarial opinion for scores of captive insurance companies and international insurance companies not required to file NAIC annual financial statements.

Approved by domiciliary regulators to provide captive insurance company statements of actuarial opinion in Ala., Ariz., Conn., Washington D.C., Del., Ga., Hawaii, Ky., Mich., Mo., Mont., Nev., N.J., N.C., Ohio, Okla., Puerto Rico, S.C., Tenn., Texas, Utah, and Vt., as well as Bermuda and Grand Cayman.

EMPLOYMENT HISTORY

Pinnacle Actuarial Resources, Inc.	2003 – Present
Miller, Herbers, Lehmann, & Associates, Inc.	1997 – 2002
Shelby Insurance Company / Anthem Casualty	1992 – 1997
Providence Washington Insurance Companies	1991 – 1992
Great American Insurance Group	1989 – 1991

CURRENT AND PAST VOLUNTEERISM

AAA

Government Insurance Task Force	2017 – 2018
Retained Risk Working Group	2016 – 2018
Medical Professional Liability Subcommittee	2009 – 2010

CAS

University Liaison – Miami University	1999 – 2020
Board of Directors	2014 – 2017
Leadership Development Committee	2012 – 2014
Ratemaking and Product Management Seminar Committee	2008 – 2009
Actuarial Review Editorial Board	2003 – 2008
Ratemaking Seminar Committee	1997 – 2002; 2004 – 06
Chairperson	2001 – 2002
Vice Chairperson	2000 – 2001
New Fellows Committee	
Chairperson	2003 – 2006
Vice Chairperson	2003
Task Force on ACAS Voting Rights	2004
Working Group on Executive-Level Decision Making Using DFA	2004
Risk & Capital Mgmt. Seminar	
Chairperson	2002
DFA Seminar	
Chairperson	2000 – 2001
Vice Chairperson	2000
Committee on Health and Managed Care Issues	1996 – 2001
Limited Attendance Seminars on Dynamic Financial Analysis	
Faculty Member	1998 – 1999, 2001 – 04

International Center for Captive Insurance Education (ICCIE)

Instructor	2016 – Present
------------	----------------

Actuarial Standards Board

Casualty Committee	2014 – 2021
Task Force to Revise ASOP No. 20, Chair	2021 – Present
Task Force to Revise ASOP No. 30	2021 – Present
Task Force to Revise ASOP No. 7	2022 – Present

Self-Insurance Institute of America (SIIA)

Captive Committee	2016 – 2017
-------------------	-------------

Vermont Captive Insurance Association

Conference Committee	2009 – 2015
----------------------	-------------

Captive Insurance Company Association

Actuary/Consultant Best Practices Committee	2009 – 2010
---	-------------

NRRRA Annual Meeting Committee

2019 – Present

NEW MEXICO PATIENT'S COMPENSATION FUND

Actuarial Analysis as of December 31, 2024

June 2025



P.O. Box 63
Biltmore Lake, NC 28715
309.807.2320
pinnacleactuaries.com

Commitment Beyond Numbers

EXHIBIT

B



P.O. Box 63
Biltmore Lake, NC 28715
309.807.2320
pinnacleactuaries.com

Robert J. Walling III, FCAS, MAAA, CERA
Principal and Consulting Actuary
rwalling@pinnacleactuaries.com

June 6, 2025

Ms. Debbie Luera
Director of Operations
Integrion Group
5201 Balloon Fiesta Pkwy NE
Albuquerque, NM 87113

Re: 2024 Actuarial Analysis of the New Mexico Patient's Compensation Fund

Dear Debbie,

Enclosed are copies of our report analyzing a variety of issues related to the New Mexico Patient's Compensation Fund (PCF) as of December 31, 2024. This includes a review of the indicated unpaid claims liabilities and prospective surcharges.

I am a member in good standing of the Casualty Actuarial Society and the American Academy of Actuaries and meet the qualification standards to render the actuarial opinion contained herein.

Please give me a call at your earliest convenience so that we can discuss this report. We have enjoyed working with you on this assignment.

Sincerely,

A handwritten signature in black ink that reads "Robert J. Walling III". The signature is written in a cursive, flowing style.

Robert J. Walling III, FCAS, MAAA, CERA
Principal and Consulting Actuary



P.O. Box 63
Biltmore Lake, NC 28715
309.807.2320
pinnacleactuaries.com

Robert J. Walling III, FCAS, MAAA, CERA
Principal and Consulting Actuary
rwalling@pinnacleactuaries.com

June 6, 2025

Ms. Debbie Luera
Director of Operations
Integrion Group
5201 Balloon Fiesta Pkwy NE
Albuquerque, NM 87113

Re: 2024 Actuarial Analysis of the New Mexico Patient's Compensation Fund

Dear Debbie,

Enclosed are copies of our report analyzing a variety of issues related to the New Mexico Patient's Compensation Fund (PCF) as of December 31, 2024. This includes a review of the indicated unpaid claims liabilities and prospective surcharges.

I am a member in good standing of the Casualty Actuarial Society and the American Academy of Actuaries and meet the qualification standards to render the actuarial opinion contained herein.

Please give me a call at your earliest convenience so that we can discuss this report. We have enjoyed working with you on this assignment.

Sincerely,

A handwritten signature in black ink that reads "Robert J. Walling III". The signature is written in a cursive, flowing style.

Robert J. Walling III, FCAS, MAAA, CERA
Principal and Consulting Actuary

Table of Contents

SECTION	PAGE
Executive Summary	1
Unpaid Claims Liabilities	1
PCF Surplus/Deficit	2
Expected Surcharge Levels.....	2
Expected Deficit Surcharge Levels	4
Allocation of Ultimate & Outstanding Losses by Hospital	6
Background	7
Data Sources	8
PCF Financial Statement Data	8
Industry Rate Filings.....	9
PCF Claims Data	9
PCF Current Class Plan and Exposure Data.....	10
Discussion and Analysis.....	11
Estimated Unpaid Claims Liabilities as of December 31, 2024.....	11
Methodology.....	11
PCF Coverage Limits and Expected Surcharge Levels	14
PCF Surplus/Deficit	16
Class Plan and Entity Coverage Review	16
Allocation of Ultimate & Outstanding Losses by Hospital	18
Glossary of Terms & Abbreviations	19
Legal Disclosures	22
Distribution and Use	22
Reliances and Limitations	22
 EXHIBITS	
 APPENDIX	

New Mexico Patient's Compensation Fund

Actuarial Analysis as of December 31, 2024

EXECUTIVE SUMMARY ¹

The New Mexico Patient's Compensation Fund (PCF) serves a vital role in supporting the overall health of the medical professional liability insurance (MPLI) system in New Mexico. The PCF provides excess coverage that stabilizes the operating results of participating insurers and encourages competition which leads to greater availability and affordability of coverage. In New Mexico and other states, a competitive MPLI market tends to attract new physicians leading to greater access to care. The coverage provided by the PCF requires the use of an occurrence coverage form, preferred by healthcare providers, with limits that provide comprehensive coverage to ensure that injured patients receive appropriate compensation for their injuries. As a result, all stakeholders in the New Mexico healthcare system benefit in some way from a healthy PCF.

One way that the New Mexico Office of Superintendent of Insurance (OSI) ensures the ongoing health of the PCF is to conduct a periodic actuarial review. This review examines several aspects of the PCF including analyses of indicated reserves for unpaid losses and appropriate surcharges for upcoming policy periods.

Through a review of a variety of both publicly available and proprietary data sources, Pinnacle has come to a number of key conclusions regarding several aspects of the PCF. The highlights of our findings regarding the various issues include:

Unpaid Claims Liabilities

- Pinnacle estimates the amount of losses still to be paid for all claims occurring prior to December 31, 2024, to be approximately \$342.6 million on a nominal basis, \$334.8 million on a discounted basis using a 3.5% discount rate on invested assets, and \$362.6 million when the discounted reserves reflect a risk margin to increase the statistical confidence to 75%. These reflect increases from the values calculated in the prior report as of December 31, 2023, of

¹ Third parties receiving only this Executive Summary should recognize that the furnishing of this summary is not a substitute for their own due diligence and should place no reliance on this summary that would result in the creation of any duty or liability by Pinnacle to the third party. Pinnacle is available to answer any questions regarding the information contained in the Executive Summary.

\$292.9 million (nominal) and \$289.1 million (discounted). The prior report calculated the discounted reserves at the 75% confidence level to be \$313.7 million.

- These results are summarized in the table below and are broken out between independent physicians & surgeons and hospitals and outpatient healthcare facilities (OHFC's).

	Reserves as of 12/31/2024			Reserves as of 12/31/2023			Difference		
	Estimated Ultimate Reserves	Estimated Discounted Reserves	Estimated Discounted Reserves @ 75%	Estimated Ultimate Reserves	Estimated Discounted Reserves	Estimated Discounted Reserves @ 75%	Estimated Ultimate Reserves	Estimated Discounted Reserves	Estimated Discounted Reserves @ 75%
Indep. Physician & Surgeons	82,463,038	80,632,117	87,324,583	78,634,086	77,638,728	84,238,020	3,828,952	2,993,388	3,086,562
Hospitals & OHFC's	260,103,918	254,140,375	275,234,026	214,230,326	211,455,502	229,429,219	45,873,591	42,684,874	45,804,807
Total	342,566,955	334,772,492	362,558,609	292,864,412	289,094,230	313,667,240	49,702,543	45,678,262	48,891,369

PCF Surplus/Deficit

- The current PCF fund balance of approximately \$308.3 million as of December 31, 2024, when compared to Pinnacle's estimate of indicated nominal loss reserves of approximately \$342.6 million, suggests a fund deficit position of \$34.3 million. The \$34.3 million deficit is about 11.1% of the current fund balance.
- As of December 31, 2023, the deficit (inclusive of the \$35.9 million legislative infusion) was \$37.7 million indicating the deficit has been reduced \$3.4 million since the previous actuarial review. This improvement is primarily attributed to two factors: (1) hospitals were assessed a 46.0% deficit surcharge in 2024, and (2) hospitals' loss experience has generally been favorable, leading to lower estimated ultimate losses, which directly reduced the deficit (see Exhibit 1, Page 5). However, independent physicians and surgeons experienced adverse development in the twelve months following December 31, 2023, partially offsetting the overall reduction.
- Reflecting reserves on a present value basis, using a 3.5% discount rate on invested assets, results in a fund deficit of approximately \$26.5 million. This is a decrease of \$7.4 million since the prior analysis as of December 31, 2023.
- If discounted loss reserves are increased to the 75% confidence level, the resulting reserves indicate a \$54.3 million PCF surplus deficit.

Expected Surcharge Levels

- Pinnacle's prospective rate level indication for independent physicians & surgeons suggests an overall rate change of +13.6% on an expected value basis. If adjusted to a 75% level of statistical confidence, an indicated rate change of +23.0% results.
- We are not proposing any changes in class relativities for 2026, therefore no offset is required.
- We have made use of the Consumer Price Index (CPI) for all urban consumers to calculate the increase to the per occurrence limit. Evaluating the index as of year-end produces an adjustment factor of 2.87%. The result is an increase to the per occurrence limit from \$883,404

to \$908,779 – widening the PCF's exposed layer from \$633,404 to \$658,779. Our analysis of MPLI increased limits factors (ILF's) indicate that rates should be increased 2.1% to support the additional exposure.

- The overall rate impact is +16.0% at the expected level and +25.6% at the 75% confidence level. These indications are summarized in the table below. More information regarding these indications can be found on Exhibit 4, Page 1.

Independent Physicians & Surgeons

	Indicated Assessment Level Change on <u>January 1, 2026</u>	Offset Due to Changes in <u>Class Plan</u>	Increased Limits Factor to \$658,779 xs <u>\$250,000</u>	Indicated Rate Change
w/o Risk Margin	13.6%	0.0%	2.1%	16.0%
w/ Risk Margin	23.0%	0.0%	2.1%	25.6%

- Pinnacle's rate level indication for hospitals suggests a rate change of +2.6% on an expected value basis. At a 75% level of statistical confidence, the indicated change is +11.1%. Exhibit 6, Page 1, provides more detail surrounding these indications.

Hospitals

	Indicated Assessment Level Change on <u>January 1, 2026</u>
w/o Risk Margin	2.6%
w/ Risk Margin	11.1%

- The PCF is no longer securing reinsurance coverage for batch claims. These claims arise over many years and tend to result from the actions of a single provider or hospital. Beginning in our December 31, 2024 analysis, we have been advised to remove the provision for batch claims. As such, the rate indications for both the independent physicians & surgeons as well as the hospitals exclude a provision for batch claims.
- Effective January 1, 2024, the limits on non-medical indemnity for independent (non-hospital owned) outpatient healthcare facilities is \$500,000 excess of \$500,000 plus unlimited medical benefits. The PCF's limit on non-medical indemnity will be increased each year based on the 3-year average CPI for all urban consumers. The adjustment for this year is 4.19% and is applied on a ground-up basis, increasing the PCF's exposed layer from \$556,239 to \$600,495. The resulting indicated rates are shown below.

Independent Outpatient Healthcare Facilities Rates

Facility Type	Exposure Type	January 1, 2026 Indicated Rate at \$600,495 xs \$500,000 Limit
Cardiac Rehabilitation Centers	Per 100 Visits	45.32
College/University Health Centers	Per 100 Visits	20.18
Community Health Centers	Per 100 Visits	31.54
Dialysis Centers	Per 100 Visits	44.15
Home Health/Hospice Care	Per 100 Visits	8.76
Medical Laboratories	Per \$1,000 Receipts	2.14
Medispas	Per 100 Visits	31.54
Mental Health Counseling Centers	Per 100 Visits	33.04
Pathology Laboratories	Per \$1,000 Receipts	1.82
Physical/Occupational Rehabilitation Centers	Per 100 Visits	36.83
Quality Control/Reference Laboratories	Per \$1,000 Receipts	1.93
Sleep Centers	Per 100 Visits	31.54
Substance Abuse Counseling Centers	Per 100 Visits	47.22
Surgery Centers	Per 100 Visits	175.20
Urgent Care Centers	Per 100 Visits	78.23
X-Ray/Imaging Centers	Per \$1,000 Receipts	2.14
Emergency Room Visits	Per 100 Visits	81.86

Expected Deficit Surcharge Levels

- Pinnacle has allocated 100%, or \$34.3 million, of the fund deficit to hospitals. For 2026, we estimate an indicated 22.5% load to the 2026 surcharges for hospitals. The indicated deficit surcharge load was calculated so that the fund deficit was eliminated by January 1, 2027. This date is chosen because hospitals will no longer be allowed to participate in the PCF as of January 1, 2027. Including the deficit surcharge produces an overall rate increase of +25.7% at the expected level and +36.1% at the 75% confidence level. There is no deficit surcharge indicated for the independent physicians & surgeons.
- The following table shows the underwriting performance of the independent physicians and surgeons alongside that for hospitals. This information shows an overall underwriting gain, inclusive of deficit surcharges and legislative infusions through year-end 2024, related to the independent physicians & surgeons of 2.9%; similarly for hospitals, there is a corresponding underwriting loss of 4.0%. It is from this data that we determine the allocation percentages between the independent physicians & surgeons and the hospitals.

Historical Underwriting Performance

Accident Year	Independent Physician & Surgeons				Hospitals			
	Practitioner Surcharges	Selected Ultimate Losses	Deficit Surcharges & Infusions	Gain/(Loss) Incl. Deficit Surcharges & Infusions	Hospital Surcharges	Selected Ultimate Losses	Deficit Surcharges & Infusions	Gain/(Loss) Incl. Deficit Surcharges & Infusions
2000	8,238,309	6,560,000						
2001	9,181,946	9,261,652						
2002	9,421,675	9,309,500						
2003	9,924,688	6,596,189						
2004	9,283,270	5,482,500						
2005	9,151,210	9,776,657						
2006	9,067,465	8,140,629						
2007	8,810,595	19,005,969						
2008	9,696,249	19,398,176						
2009	11,325,257	11,967,704			918,297	2,075,000		
2010	10,410,307	17,814,906			1,680,228	2,007,005		
2011	11,380,891	19,354,469			1,825,004	2,550,048		
2012	9,765,990	8,741,628			1,817,812	3,478,475		
2013	9,596,773	7,506,739			1,992,604	2,622,894		
2014	10,065,996	15,283,325			2,146,331	6,768,794		
2015	10,535,218	8,834,847			2,224,828	5,749,638		
2016	9,039,070	8,860,083			6,374,245	10,268,394		
2017	12,725,963	24,561,166			21,561,182	19,974,522		
2018	9,835,929	23,648,626			31,292,438	33,791,297		
2019	10,170,463	23,003,609			31,872,010	35,234,112		
2020	10,236,009	11,720,803			31,731,360	35,599,877		
2021	11,585,186	13,393,113			32,655,867	43,515,208		
2022	15,302,205	18,412,686			37,653,051	47,588,771		
2023	16,934,483	20,016,143			48,224,599	57,274,722		
Total	268,620,583	346,973,639	86,050,000	7,696,944 2.9%	322,867,744	391,176,221	55,436,499	(12,871,978) -4.0%
							<u>Prior</u>	<u>Selected</u>
					Physicians Allocation Percentage		25.0%	0.0%
					Hospital Allocation Percentage		75.0%	100.0%

Allocation of Ultimate & Outstanding Losses by Hospital

- We have allocated the estimated ultimate and outstanding losses by evaluating each hospital's level of surcharges and paid loss experience. We have compared the estimated ultimate losses to the corresponding surcharges to evaluate the underwriting performance for each hospital. These results are summarized below.

Allocation of Ultimate & Outstanding Losses by Hospital

Hospital	Estimate Hospital Surcharges	Paid Losses	Estimated Ultimate Losses	Undiscounted Reserves	Discounted Reserves	Gain/(Loss)	Ultimate Loss Ratio
Christus St. Vincent Hospital	45,991,308	35,768,585	62,583,857	26,815,273	26,178,548	(16,592,549)	136%
Community Health Systems	43,545,735	15,159,633	55,996,659	40,837,027	39,908,224	(12,450,924)	129%
LifePoint Health Group	23,266,384	8,306,756	27,139,515	18,832,759	18,406,426	(3,873,131)	117%
Lovelace Health System LLC	34,877,173	33,037,351	68,122,976	35,085,624	34,334,189	(33,245,802)	195%
Quorum Health Corporation	7,677,805	1,150,000	6,211,583	5,061,583	4,945,988	1,466,222	81%
HealthSouth Corporation	1,981,008	1,725,000	2,980,728	1,255,728	1,227,178	(999,720)	150%
Otero County Hospital Association	7,026,914	7,671,065	16,573,626	8,902,561	8,689,802	(9,546,712)	236%
Presbyterian Health Systems LLC	144,708,155	26,521,414	149,834,777	123,313,363	120,450,019	(5,126,622)	104%
Total	309,074,483	129,339,803	389,443,721	260,103,918	254,140,375	(80,369,238)	126%

BACKGROUND

The PCF was established in 1976 to provide for the payment of claims in excess of a primary limit of \$100,000 per incident which was provided by private insurers. This resulted in the PCF providing coverage with a non-medical indemnity limit of \$400,000 per incident (to reach the state damage cap on non-medical damages), plus unlimited medical benefits. Effective July 1, 1991, the primary limit was increased to \$150,000 on new and renewal policies, thereby reducing the PCF's liability limit to \$350,000 non-medical indemnity, plus unlimited medical. The PCF's liability was further reduced to \$300,000 effective April 1, 1992, when the primary limit was increased to \$200,000. Effective April 1, 1995, the maximum non-medical indemnity amount was increased to \$600,000 increasing the PCF liability retention to \$400,000 non-medical, plus unlimited medical. The PCF's primary limit and maximum non-medical amount was increased to \$250,000 and \$750,000, respectively, on January 1, 2022, resulting in the PCF's liability limit of \$500,000 non-medical, plus unlimited medical. For years subsequent to 2022, the per occurrence limit for the independent physicians & surgeons will be increased annually by the 1-year CPI indication for all urban consumers. The per occurrence limit for the hospitals will remain at \$500,000 excess of \$250,000.

Effective January 1, 2024, the limits on non-medical indemnity for independent (non-hospital owned) outpatient healthcare facilities is \$500,000 excess of \$500,000 plus unlimited medical benefits. The PCF's limit on non-medical indemnity will be increased each year based on the 3-year average CPI for all urban consumers.

The unlimited medical feature of the New Mexico PCF presents significant risk for the PCF and additional variability in estimating the current liabilities and prospective rates. Since the detailed data available to estimate the unpaid claims liabilities and indicated surcharge levels only goes back to accident year 2000, some adjustments are required to this data. These adjustments, as well as the methods and assumptions used to estimate indicated loss reserves and PCF surcharges are detailed later in the report and in the attached exhibits.

Pinnacle Actuarial Resources, Inc. (Pinnacle) has been retained by the New Mexico Office of Superintendent of Insurance (OSI) to conduct a comprehensive actuarial analysis of the New Mexico Patients Compensation Fund (PCF). This analysis will contain several components including evaluation of the:

- Estimated ultimate liabilities for losses incurred by the PCF as of December 31, 2024,
- Recommended PCF assessment surcharges to fund the operations of the PCF for the effective date of January 1, 2026,
- Recommend deficit surcharges to eliminate the fund deficit by January 1, 2027 for the hospitals, and
- Independent physicians' classification plan and specialty relativities.

Pinnacle is an Illinois corporation that has been in property and casualty actuarial consulting since 1984. Our actuarial consultants make Pinnacle one of the largest property/casualty actuarial consulting firms in the U.S. We specialize in insurance pricing, loss reserving, alternative markets, legislative costing, market analysis and financial risk modeling.

Pinnacle has established a reputation as a provider of unbiased, independent, actuarially sound analyses and reports. This reputation is demonstrated in the variety of clients that have engaged us for projects similar to this one. Clients that have engaged Pinnacle in areas of medical professional liability include governmental insurance programs, legislative costing and market evaluations for healthcare industry associations (e.g. American Medical Association, Oregon Medical Association, Medical Society of Virginia), insurance departments and governmental panels (e.g. Florida, Illinois, Indiana, Maine, Michigan, New York, Ohio, Oregon), and government insurance programs (e.g. Florida Neurological Injury Compensation Association, New Mexico Patient Compensation Fund, New York Medical Indemnity Fund, Virginia Birth Related Neurological Injury Compensation Program, Wisconsin Patients Compensation Fund). Pinnacle may be unique in the breadth of parties involved in the medical professional liability insurance system that have engaged us.

DATA SOURCES

Our analyses use a number of data sources. The data sources are categorized as follows:

1. PCF Financial Statement Data,
2. Industry Rate Filings,
3. PCF Claims Data, and
4. PCF Current Class Plan and Exposure Data.

A brief description of the data sources utilized in each area along with a description of the key data elements and potential limitations of the data follows for each category.

PCF Financial Statement Data

Unlike insurance companies who are required to provide extensive, detailed financial information annually that complies with a standardized format prescribed by the National Association of Insurance Commissioners (NAIC), most governmental insurance programs, such as the PCF, have much simpler financial reporting requirements.

Pinnacle was provided a single document, one page in length, related to and supporting the financial statements of the PCF. While in analyses prior to 2015, monthly cash flows in and out of the PCF were provided dating back to 1996 (including surcharge collections, loss payments, interest earned,

underwriting expenses and claims handling expenses), for this analysis as well as the 2015 through 2019 and 2022 through 2024 analyses, we were provided only with loss, expense and operating payments, surcharges, and the total PCF funds for calendar years 2014 through 2024. We were also provided with categories of operating expenses to consider in the surcharge evaluation as well as revised PCF total funds.

Industry Rate Filings

Insurance company rate filings provide valuable insights into individual insurance company perceptions of prospective claim trends. Many of these filings include rigorous actuarial analyses of claim frequency, severity and pure premium trends. Due to data limitations, these trend analyses are often performed on countrywide data to increase statistical credibility. Pinnacle reviewed several publicly available filings for MPLI providers and government insurance programs in New Mexico and other states to assess trends in the MPLI marketplace and for MPLI excess insurance programs in particular. Pinnacle relied on this information without independent review or verification. However, given that information had been through regulatory scrutiny, we are comfortable that the information is appropriate for the limited role it plays in our analysis.

The PCF loss data is not credible enough to calculate new relativities by ISO class. In order to review these relativities, we compiled data from The Doctors Company (TDC, filing submitted 8/21/2023) and The Medical Protective Company (MedPro, filing submitted 7/3/2024), two of the largest medical professional liability carriers in the state of New Mexico. These carrier relativities are closely based on the underlying coverage required by the PCF (\$250,000 per occurrence, \$750,000 in aggregate occurrence policies). We also compare to the Wisconsin and Indiana patient compensation funds which cover excess layers of medical professional liability similar to the PCF. These relativities are shown on Appendix 11 and Appendix 13, Page 1.

PCF Claims Data

The enabling statute for the PCF (41-5-25) requires that the PCF surcharges be based on data obtained from New Mexico experience if available. When Pinnacle began performing these studies for OSI, credible New Mexico loss data in the PCF layer was only available on a calendar year basis which is not appropriate for reserving or ratemaking. As a result, prior analyses relied on New Mexico data for losses limited to \$100,000 from the two major primary insurers in New Mexico that participate in the PCF.

Starting with our 2010 study, OSI has been able to provide detailed claim data for most claims paid since 2000. Most of this data had valid loss dates and payment dates as well. In addition, a table of open claims with loss date information was also provided. These databases enabled Pinnacle to develop a much more direct approach to estimating indicated loss reserves as well as prospective

assessment surcharge levels. However, for the 2015 analysis, only calendar year 2014 and 2015 aggregate loss payments were provided. We were again provided with detailed claim data for the 2017 through 2019 and 2022 through the current analysis, which show that the prior estimated calendar year 2014 and 2015 payments were much too high. We have relied upon the individual claim data provided to us for the current analysis.

Starting with the 2017 analysis and continuing in the current analyses, significant effort has gone into improving the loss database provided to us by Integrion. These improvements now allow us to sort payments by hospital/provider more precisely. We anticipate that this improvement to the database going forward will provide material insights into the PCF payments.

We were also provided with specific information regarding two large groups of claims. For the first group (Batch #1), we understand that early in 2012, a group of approximately 69 claims associated with a single physician and medical center were all settled. Most of these claims occurred in the 2007-2009 period. It has been represented to us that the settlement paid by the PCF on Batch #1 claims is \$11.7 million. We were provided the approximate number of claims per accident year by the department and have reflected this settlement across accident years 2006-2009, allocating the settlement by the number of claims falling in each accident year.

The second group of claims (Batch #2) were made for a single physician and associated corporations for a total of 31 incidents in accident years 2005-2010. These claims were settled for \$10,182,000. We have allocated this amount based on the claim counts in each accident year from 2005 through 2010.

Please note that for the purposes of this report, the accounting date and the valuation date is December 31, 2024. The review date (the cutoff date for including information to the actuary) is May 20, 2025.

PCF Current Class Plan and Exposure Data

Pinnacle was provided with the PCF current class plan including base surcharges by class and assignment of Insurance Services Office (ISO) codes to PCF class. This information is publicly available on the PCF's website. At the PCF's request, we have eliminated the use of ISO codes. A list of the NM PCF specific physician codes, their current and selected classes, and the corresponding current and selected relativities are shown in Appendix 11. Class relativities are the ratio of the surcharge for a given class and a selected base class. They allow for an easier comparison of how different rating plans reflect the risk potential of a given specialty by normalizing for differences in base rates. For the PCF surcharges, Class 2 has been selected as the base class. Classes and relativities for allied health providers (physician assistants, nurse anesthetists, CRNAs, and chiropractors) are shown on Appendix 14, Page 2.

In addition, we were provided with the number of health care providers with PCF coverage by ISO specialty (for physicians and surgeons) or class (for allied health providers and business entities). These exposure counts enable us to determine the impact of any changes in classes or relativities on the PCF's surcharge levels. Exposures can be found on Appendix 12 (for physicians and surgeons), Appendix 14, Page 2 (for allied health providers), and Appendix 15 (for business entities).

DISCUSSION AND ANALYSIS

Estimated Unpaid Claims Liabilities as of December 31, 2024

Pinnacle estimates the amount of losses still to be paid for all claims occurring prior to December 31, 2024, to be approximately \$342.6 million on a nominal basis, \$334.8 million on a discounted basis using a 3.5% discount rate on invested assets, and \$362.6 million when the discounted reserves reflect a risk margin to increase to the statistical confidence to 75%. These results are summarized in Exhibit 1. These amounts represent estimates of the losses that remain to be paid from the current fund balance if the PCF had ceased operations as of December 31, 2024. These reflect increases from the values calculated in the prior report as of December 31, 2023, of \$292.9 million (nominal) and \$289.1 million (discounted). The prior report calculated the discounted reserves at the 75% confidence level to be \$313.7 million.

The present value as of December 31, 2024, assuming a 3.5% annual discount rate of unpaid losses on claims occurring through December 31, 2024, is estimated as \$334.8 million. The \$26.5 million difference between the discounted losses and the estimated December 31, 2024 PCF fund balance (\$308.3 million) represents the present value of the expected deficit between the currently available funds and the funds needed to meet all outstanding claim obligations as of December 31, 2024. The current PCF fund balance is also \$34.3 million lower than the nominal reserve estimate. If discounted loss reserves are increased to the 75% confidence level, the resulting reserves indicate a \$54.3 million PCF surplus deficit.

Methodology

Pinnacle's estimates of ultimate losses for the PCF were developed based on four actuarial methods for the physician data and three methods for the hospital data. The methods used are paid loss development, expected loss ratio method, paid loss Bornhuetter-Ferguson (B-F) method, and average paid claim development (also known as a frequency and severity or counts and averages method; this method was not used with the hospital data). These methods are among the most commonly used methods and would be considered generally accepted actuarial methods. The intended measure of this approach is an actuarial central estimate of the ultimate losses and indicated loss reserves. The

calculations and assumptions underpinning these methods are documented in Appendix 1 through Appendix 6 for the physician data and Appendix 7 through Appendix 8 for the hospital data.

The paid loss development method uses historical loss payment patterns to project actual payments to an ultimate settlement basis. Estimates of the percentage of additional development expected during a given interval between valuations (link ratios or age-to-age factors) based on historical development of the combined physician and hospital experience are used to estimate the expected amount of ultimate loss that is paid as of a given valuation. These factors "to ultimate" are applied to the latest paid loss data for each accident year to compute an estimate of ultimate losses. Estimates produced using this method are not affected by changes in case reserve adequacy or open claim frequency that might have occurred during the review period. The inability to respond to the presence or absence of large outstanding claims is a significant weakness of this method. This method may also be susceptible to changes in claims settlement philosophy and/or payment speed. The results of the paid loss development method are summarized in Appendix 2 and Appendix 8. The paid loss development triangles and selected age-to-age factors are shown in Appendix 9.

The expected loss ratio method assumes that over the long run the ratio of ultimate losses to earned premiums, or in this case assessment surcharges, will remain stable. The long-term loss ratio for the physician segment is assumed to be 120.0% for the 2000 and subsequent years based on the historical experience of the program, increased from 117.5% in the December 31, 2023 analysis, and the loss ratio for the hospital segment is assumed to be 120.0%, which is a decrease from the assumed loss ratio derived in the December 31, 2023 analysis (125.0%). The estimates of ultimate losses are computed as the assessments for each year times this long-term average loss ratio. The results of this method are shown in Appendix 1, Page 2 and Appendix 7, Page 2.

The B-F method estimates ultimate losses using a combination of a priori expected losses and loss development techniques. If we define:

- A = Paid Losses
- B = Expected Percentage of Ultimate Losses Reported
- C = *a priori* Expected Losses, equal to historical assessments times long term loss ratio of 120.0% selected for each segment

then the estimated ultimate losses using the B-F technique are:

$$A + [C \times (1 - B)].$$

B-F ultimate loss estimates have the advantage of stability. This is important for coverages with long periods of loss development like MPLI. This stability means the method's estimates do not overreact to short-term or one-time changes in development patterns that do not impact long-term development expectations. They also do not overreact to the presence or absence of large losses early in the development of a portfolio of claims. Conversely, B-F estimates have the disadvantage of being slow to respond to real changes in underlying loss development behavior. The *a priori* losses were based on the expected loss ratio method previously described. This method is summarized in Appendix 1, Page 1 and Appendix 7, Page 1.

The counts and averages method estimates ultimate losses by multiplying an estimate of the ultimate number of claims by a selected average cost per claim. This method was only used on the physician segment as the hospital data is not yet robust enough to support the method. The results of this method are contained in Appendix 3 through Appendix 6 and summarized in Appendix 3, Page 1. The supporting development patterns are contained in Appendix 10.

The number of claims has been selected based on three methods: a closed claim development method, a B-F method, and a frequency method looking at the long-term ratio of claims closed with payment to assessment revenues. Similarly, average claim costs (severities) have been estimated using paid claim severity development and applying a smoothing approach to adjust for volatility between years.

Selected ultimate loss estimates for the PCF layer of coverage by year were then made based on the results of these four methods for each segment (three methods for the hospitals segment). These estimates rely heavily on the B-F method and expected loss ratio method in the more recent years. Exhibit 1, Page 3 contains a detailed comparison of the selected ultimate losses compared to the results of the December 31, 2023 study. The estimated ultimate losses for most years were increased; however, these increases were partially offset by larger decreases in 2020 and 2023.

Because of the significant delay between the occurrence of a PCF claim and its payment, a discount to bring the ultimate claim payments to a present value reflecting the time value of money exists. Exhibit 1, Page 2 contains the analysis developing estimates of the PCF present value factors based on a 3.5% rate of return on invested assets and the estimated PCF excess payment pattern. This analysis assumes claim payments are made mid-year on average.

The financial operations of the PCF are similar to a commercial insurer, but one major difference is that the PCF does not maintain a large capital/surplus account. However, in any given year, the actual experience of the PCF can deviate widely from the expected experience. Unanticipated changes in the social, legal or economic environments can also adversely affect PCF experience. An insurer's capital/surplus can assist in withstanding such deviations in experience. By adding a margin for the risk

of adverse deviation to indicated loss reserve (and also funding levels), the PCF can be protected in a similar manner.

There are various rules of thumb used in the insurance industry (some mandated by state regulations) that specify the size of the required risk margin (surplus). One state, for example, requires a margin sufficient to assure that funds will be sufficient to meet all claims obligations under 90% of all claims scenarios on a discounted basis. While there are a number of methods for estimating a risk margin, a reasonable margin can be estimated via a simulation model.

We constructed a simulation model that randomly generated possible aggregate loss outcomes for each of the PCF's projected unpaid claims that will ultimately result in payments. Each random outcome generated by a model is called a trial. A trial consists of simulating the individual and aggregate claim results for the PCF for the coming years. We generated 10,000 trials for each model and produced a distribution of aggregate PCF losses. We then compared the average outcome with the outcome at the 75th percentile to compute the risk margin for the 75% confidence level.

Exhibit 1, Page 1 summarizes Pinnacle's selected ultimate losses and ultimate loss reserves as of December 31, 2024. These selected reserves are then adjusted for discounting at 3.5% annually and a risk margin to increase statistical confidence to the 75% level. A similar simulation model was created for the risk margin applied to the prospective rate level indication and a similar approach was used to develop the rate indication at the 75% confidence level.

PCF Coverage Limits and Expected Surcharge Levels

A table of current and recommended PCF surcharges by physician class is shown in Exhibit 3. Recommended surcharges were computed based on both an expected value basis and a 75% confidence level.

For the independent physicians & surgeons, the indicated percentage rate level changes are derived in Exhibit 4, Page 1. On an expected value basis, the indicated surcharge change is an increase of +13.6%, while at the 75% confidence level an increase of +23.0% is indicated. We are not proposing any changes in class relativities for 2026, therefore no offset is required.

We have made use of the CPI for all urban consumers to calculate the increase to the per occurrence limit:

Consumer Price Index All Urban Consumers		
Year	Index	% Chg.
(1)	(2)	(3)
2015	237.8	
2016	242.6	2.05%
2017	247.8	2.13%
2018	252.8	2.00%
2019	258.6	2.32%
2020	262.0	1.32%
2021	280.8	7.16%
2022	298.8	6.41%
2023	308.7	3.32%
2024	317.6	2.87%
1-Yr Change		2.87%
3-Yr Change		4.19%

**Source: bls.gov
Series ID: CUSR0000SA0*

Evaluating the index as of year-end 2023 produces an adjustment factor of 2.87%. The result is an increase to the per occurrence limit from \$883,404 to \$908,779 – widening the PCF's exposed layer from \$633,404 to \$658,779. Our analysis of MPLI ILF's indicate that rates should be increased +2.1% to support the additional exposure. Aggregating these elements produces an indicated rate change of +16.0% at the expected level and +25.6% at the 75% confidence level.

Effective January 1, 2024, the limits on non-medical indemnity for independent (non-hospital owned) outpatient healthcare facilities is \$500,000 excess of \$500,000 plus unlimited medical benefits. The PCF's limit on non-medical indemnity will be increased each year based on the 3-year average CPI for all urban consumers. The adjustment for this year is 4.19% and is applied on a ground-up basis, increasing the PCF's exposed layer from \$556,239 to \$600,495.

Exhibit 6, Page 1, provides the indicated percentage rate level changes for the hospitals. On an expected value basis, the indicated change is +2.6%; at the 75% confidence level the indicated change is increased to +11.1%.

Including the risk margin at the 75% confidence level improves the likelihood that rates will be sufficient to cover all claims liabilities for the upcoming exposure year.

Investment income as an offset to the otherwise required revenue is recognized in both sets of rates using a 3.5% annual discount rate, assuming all surcharge income will be available for investment. Loss ratios were selected based on historical results and reflect recent loss ratio deterioration. The rates include provisions for other expenses, such as administration and medical/legal panels, as well as losses. However, since allocated loss adjustment expenses (ALAE) have historically been paid by the primary carrier, no ALAE provision is included in the PCF rates. Exhibit 7 shows selected ratios of expenses to either losses or surcharge revenues based on the PCF's historical paid expenses and losses. There is also no provision for profit and contingencies in the rate level indications, other than the risk margin.

PCF Surplus/Deficit

The current PCF fund balance is approximately \$308.3 million as of December 31, 2024. When compared to Pinnacle's estimate of indicated undiscounted loss reserves of approximately \$342.6 million, this would suggest a fund deficit position of \$34.3 million as of December 31, 2024. The indicated Fund position remains a deficit of approximately \$26.5 million when losses are considered on a discounted basis using a 3.5% discount rate on invested assets.

However, it is imperative to understand that the application of discounting to these unpaid claims liabilities strongly indicates the need to add an explicit risk margin. For example, section 3.6 of Actuarial Standard of Practice No. 20 promulgated by the Actuarial Standards Board entitled, "Discounting of Property/Casualty Unpaid Claim Estimates" states that, "The actuary should be aware of the relationship between discounting unpaid claim estimates and risk margins. Discounting an unpaid claim estimate diminishes the [implicit] margin in an undiscounted unpaid claim estimate." The standard allows both implicit margins (such as the nominal reserve estimate) and explicit margins (such as the 75% risk margin developed by Pinnacle). If discounted reserves are increased to the 75% confidence level, the resulting reserves of \$362.6 million indicate a \$54.3 million PCF surplus deficit.

The deficit is allocated 100% to the hospitals; therefore, the discounted deficit to the hospitals is \$26.5 million. The 2026 deficit surcharge is 22.5% for the hospitals and 0.0% for independent physicians and surgeons. These load factors were derived so that the deficit for the hospitals is eliminated as of January 1, 2027. See Exhibit 3, Page 1 for more detail.

Class Plan and Entity Coverage Review

Pinnacle's class plan review was based on two parts: reviewing class assignments by PCF class code and evaluating overall relativities by class. We then calculated the indicated surcharge impact to the PCF based on each suggested change on Appendix 12.

To review the PCF class code assignments, we compared the current PCF relativities to the other patient compensation funds and primary carrier relativities to determine if any classes appeared to be significantly lower or higher than the industry would indicate and selected new relativities as appropriate. The NM PCF class codes and relativities are found on Appendix 11, while new class assignments are shown on Appendix 12.

Once the class assignments were adjusted, we reviewed the overall weighted relativities by class to determine whether the class relativities remained appropriate. The findings of this analysis indicate no adjustment in the relativity factors.

Based on the class assignment review, we recommend no adjustments to the class plan. More detail regarding these numbers is shown in Appendix 11 through Appendix 15.

We also compared PCF relativities for the allied provider types to the other patient compensation fund and insurer relativities and recommend no changes. More details of this recommendation may be found on Appendix 14, Page 2.

The final piece of our analysis was a review of the entity coverage charge for business entities covered by the PCF. Based on our review of industry rate filings, we found that a typical entity charge is 10% of the premium for each covered provider in the entity. Because individual analysis of practice groups to calculate an appropriate rate would be inefficient, and because there is no indication that the industry standard is unreasonable, we believe that following the industry practice is appropriate. The actual surcharge will therefore vary based on the individual provider specialty. In order to estimate the funding impact, we assumed the distribution of specialty by entity class aligns with the distribution of NM PCF-covered physician & surgeons by PCF class code. We are not recommending any changes to the PCF class codes; therefore, we estimate no surcharge impact for entity coverage. More details of this calculation are available in Appendix 15.

Allocation of Ultimate & Outstanding Losses by Hospital

We have allocated the estimated ultimate and outstanding losses by evaluating each hospital's level of surcharges and paid loss experience. We have compared the estimated ultimate losses to the corresponding surcharges to evaluate the underwriting performance for each hospital. These results are summarized below.

Allocation of Ultimate & Outstanding Losses by Hospital

Hospital	Estimate Hospital Surcharges	Paid Losses	Estimated Ultimate Losses	Undiscounted Reserves	Discounted Reserves	Gain/(Loss)	Ultimate Loss Ratio
Christus St. Vincent Hospital	45,991,308	35,768,585	62,583,857	26,815,273	26,178,548	(16,592,549)	136%
Community Health Systems	43,545,735	15,159,633	55,996,659	40,837,027	39,908,224	(12,450,924)	129%
LifePoint Health Group	23,266,384	8,306,756	27,139,515	18,832,759	18,406,426	(3,873,131)	117%
Lovelace Health System LLC	34,877,173	33,037,351	68,122,976	35,085,624	34,334,189	(33,245,802)	195%
Quorum Health Corporation	7,677,805	1,150,000	6,211,583	5,061,583	4,945,988	1,466,222	81%
HealthSouth Corporation	1,981,008	1,725,000	2,980,728	1,255,728	1,227,178	(999,720)	150%
Otero County Hospital Association	7,026,914	7,671,065	16,573,626	8,902,561	8,689,802	(9,546,712)	236%
Presbyterian Health Systems LLC	144,708,155	26,521,414	149,834,777	123,313,363	120,450,019	(5,126,622)	104%
Total	309,074,483	129,339,803	389,443,721	260,103,918	254,140,375	(80,369,238)	126%

GLOSSARY OF TERMS & ABBREVIATIONS

The definitions included in this glossary are intended to be practical definitions to assist non-technical readers in understanding the key technical contents of this report.

Accident Year – A method of organizing insurance loss and loss adjustment expense data according to the year in which the accident or event occurred.

Annual Statement – A detailed financial report of an insurance company, required to be filed with state insurance regulators in a specified format using insurance-specific accounting rules.

Calendar Year – A method of organizing insurance loss and loss adjustment expense data according to the year in which the financial transaction (e.g., a loss payment or reserve increase) occurred.

Case Reserves – A financial provision for the potential liability associated with known, unpaid claims.

Claims-Made Coverage – An insurance coverage form that provides reimbursement for claims reported during the coverage period.

Damage Cap – An amount imposed as a limit on claim damages. In New Mexico, this cap applies only to non-medical indemnity payments.

DCC – Defense and Cost Containment, loss adjustment expenses specifically attributable to the defense of a claim or cost containment procedures. Also called DCCE.

Deficit Surcharge - Assessments in addition to base surcharges designed to reduce the fund deficit.

Earned Premium – The portion of an insurance policy's premium for which the coverage has been provided.

Experience Rating – A method of adjusting insured premium derived from manual rates for insured historical loss experience to the extent that it is predictive of future loss results.

Fund Deficit – The amount by which the calculated reserves exceed the fund balance.

Frequency – The number of claims per unit of exposure, such as physicians or beds.

Incurred but not Reported (IBNR) reserves – A provision for unpaid claims liabilities intended to provide a provision for both unknown/unreported claims events and additional development on known claims.

Incurred Loss – Paid losses plus Case Reserves.

Indemnity – The sum paid by the insurer to the insured by way of compensation for a particular loss suffered by the insured.

LAE – Loss Adjustment Expenses; insurance company expenses associated with settling claims. LAE includes both unallocated loss adjustment expenses (ULAE, which is similar to Adjusting and Other Expense, AOE) and allocated loss adjustment expenses (ALAE, which is similar to DCC).

Limit – The most the insurer is obligated to pay for loss in any one occurrence.

Loss Cost – The ratio of actual losses to a company's subject matter exposure for the same period.

Loss Ratio – The ratio of some measure of losses (typically paid or incurred) to some measure of premium.

Patient Compensation Fund (PCF) - a medical malpractice insurance mechanism, created by state law, designed to increase professional liability coverage availability and/or affordability primarily by providing coverage for a specific type of injury or an excess layer of coverage.

Primary Carrier – The insurance company issuing the insurance policy to the insured and typically providing the lowest or primary layer of coverage. This is compared to a reinsurer or excess carrier providing coverage to the primary insurer for higher loss limits.

Pure Premium – The provision in the rate per exposure unit to pay losses.

Rate – The price per exposure unit for insurance coverage.

Reinsurance – A mechanism by which an insurance company can transfer some of their insurance risk to another insurer.

Report Year – A method of organizing insurance loss and loss adjustment expense data according to the year in which the accident or event was reported to the insurer, regardless of when it occurred.

Risk Margin – A factor added to indicated ultimate losses, loss reserves or funding estimates to increase statistical confidence to a higher level.

Severity – The average cost or payment amount of a claim.

Surcharges – For the PCF, assessments paid by insureds to fund benefits payments. Akin to premiums, these surcharges are added to the premiums charged by primary insurers so insureds can make a single payment for both primary and PCF coverage.

Territory – The geographic area within which a carrier provides coverage.

Trend – The direction and amount that rates, premium, or losses tend to move over time.

Written Premium – The entire amount of premium on a policy contract.

LEGAL DISCLOSURES

Distribution and Use

This report is being provided to the OSI solely for their internal use. It is understood that this report may also be distributed to representatives of the New Mexico Medical Society, New Mexico Bar Association, as well as other makers of public policy and various stakeholders in the healthcare industry in the State of New Mexico. Distribution to these parties is granted on the conditions that the entire report be distributed rather than any excerpts and that all recipients be made aware that Pinnacle is available to answer any questions regarding the report. In the event our report is distributed to other parties due to statute or regulations, or by agreement of Pinnacle and the OSI, we require that the report and supporting exhibits be distributed in their entirety. Pinnacle advises that any recipient have their own actuary review the work. Pinnacle does not intend to benefit any third-party recipient of its work product or create any legal duty from Pinnacle to a third party even if Pinnacle consents to the release of its work product to such third party.

In addition, the OSI may desire to distribute the Executive Summary separately to summarize key findings for broader distribution. This distribution is also granted. Individual findings may also be referenced in press releases and other public communications along with proper citation of the report.

Third party users of any of the elements of this report should recognize that the furnishing of this report is not a substitute for their own due diligence and should place no reliance on this report or the data, computations, or interpretations contained herein that would result in the creation of any duty or liability by Pinnacle to the third party.

Any reference to Pinnacle in relation to this report in any reports, accounts, or other published documents or any verbal reference issued by PCF is not authorized without prior written consent and then only if the complete report is provided.

Reliances and Limitations

Judgments as to conclusions, recommendations, methods and data contained in this report should be made only after studying the report in its entirety. It should be understood that the exhibits, graphs and figures are integral elements of the report. These sections have been prepared so that our actuarial assumptions and judgments are documented. Pinnacle is available to answer any questions that may arise regarding this report. We assume that the user of this report will seek such explanation on any matter in question.

We have relied upon a great deal of publicly available and proprietary data, without audit or verification. Pinnacle reviewed as many elements of this data and information as practical for

reasonableness and consistency with our knowledge of the insurance industry. It is possible that the historical data used to make our estimates may not be predictive of future experience in New Mexico. We have not anticipated any extraordinary changes to the legal, social or economic environment which might affect the size or frequency of medical malpractice claims beyond those contemplated in the proposed legislative changes.

Our analysis is based on closed and open claims information provided by OSI. In the data provided for prior analyses, there were a small number of claims that did not contain accurate loss dates. In addition, there were a small number of claims handled in 2000-2001 by a secondary third-party administrator (TPA) that were not contained in the data we were provided. However, we believe the methods and assumptions incorporated into our analysis effectively recognize these shortcomings in the data. If it is subsequently discovered that the underlying data or information provided to us is materially in error, the calculations and conclusions herein will not be correct and will need to be revised. We expect OSI to notify us promptly if any such data issues are subsequently discovered.

The payment pattern used in our analysis for deriving PCF's present value factor and estimated unpaid losses is based on the data available from PCF claims payments for most claims since 2000 through 2024. We also reviewed a variety of external databases for other PCFs and MPLI reinsurance to validate the reasonableness of the payment pattern for the PCF excess layer. The volatility of the payment patterns for this layer of coverage on a relatively small portfolio of claims introduces additional risk into the estimation process.

Many actuarial estimates, including loss and loss adjustment expense reserves, future surcharge level estimates and potential legislative impacts, are subject to potential errors of estimation due to the fact that the ultimate liability for claims is subject to the outcome of events yet to occur, e.g., jury decisions, judicial interpretations of statutory changes and attitudes of claimants with respect to settlements. Pinnacle has employed techniques and assumptions that we believe are appropriate, and we believe the conclusions presented herein are reasonable, given the information currently available. It should be recognized that future loss emergence will likely deviate, perhaps substantially, from our estimates.

A source of variation is introduced in estimating outstanding liabilities on a discounted basis. That is, besides the risk of underestimating or overestimating the overall amount of nominal loss liabilities, there is the additional risk that the future yield on the underlying assets will differ from our assumed discount rate. Actual loss payments could occur materially more rapidly or more slowly than projected, due to random variations and the timing of large claim payments. The yield on assets supporting the liabilities may be affected by capital gains or losses, or significant changes in economic conditions. The 3.5% interest rate used in the discounting calculation was provided to us by the OSI. We believe this rate to be reasonable for use in discounting the PCF's unpaid liabilities as it is consistent with the

current risk-free Treasury yields. We note that the discount factors used in this analysis assume that only the invested assets as shown in the PCF's financials will generate investment income to offset the nominal reserves.

The mathematical techniques underlying our estimate of the risk margin are intended to provide an approximation of the potential variation in loss costs. It should be noted that this estimate reflects only the potential "process" variation (i.e., the random variation inherent in the claim process) based on the assumed loss distributions and the selected parameters. Additional "parameter" variation exists due to the risk that the selected theoretical loss distributions and their parameters will not be predictive of the actual loss distributions. Of particular concern is the potential for unexpected increases in the inflation of the losses.

A substantial source of uncertainty relates to the emergence of the COVID-19 pandemic and its ongoing impact. This uncertainty could impact the projection of unpaid claim and future funding estimates in several different ways including, but not limited to:

- Claim reporting patterns and the risk of longer claim durations as claims handling and settlement are impacted and claimants behave differently
- Changes in exposure to specific coverages
- Emerging exposure to losses not contained in the source data for certain coverages
- Material changes in underlying loss exposures as COVID-19 impacts businesses
- Potential legal disputes regarding the applicability of specific coverages to COVID-19-related claims
- Changes associated with ongoing medical care of current claimants due to the virus for lines of business with a medical coverage component, and
- Changes in economic environments that could affect the cost of future claims.

Some of these uncertainties may affect the settlement of claims that occurred prior to COVID-19 being declared a pandemic. The COVID-19 pandemic may have a material impact on our reserve and funding estimates as its effects emerge over time.

A simulation model of this type cannot possibly capture all or completely describe any of the dynamic forces that impact medical professional liability losses. Such a model, however, can provide considerable insight into the range of potential fluctuation of losses.

Pinnacle is not qualified to provide formal legal interpretations of state legislation. The elements of this report that require legal interpretation should be recognized as reasonable interpretations of the

available statutes, regulations, and administrative rules. State governments and courts are also constantly in the process of changing and reinterpreting these statutes.

Exhibits

EXHIBIT	DESCRIPTION
Fund Summary	Estimated Unpaid Claims Liabilities & Surcharge Levels
1	Reserve Summary (Page 1) Calculation of Discount Factor (Page 2) Comparison to Prior Analysis (pages 3-5)
2	Independent Physicians & Surgeons - Selected Ultimate Losses
3	Development of Physician Surcharge Estimates
4	Independent Physicians & Surgeons – Indicated Rate Change
5	Hospitals - Selected Ultimate Losses
6	Hospitals - Indicated Rate Change
7	Expense Analysis

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Estimated Financial Position

Fund Summary
Page 1

	Estimated Ultimate Reserves	Estimated Discounted Reserves	Estimated Discounted Reserves @ 75%	Fund Balance	Indicated Deficit/(Surplus)		
	(1)	(2)	(3)	(4)	Undiscounted	Discounted	Discounted @ 75%
	(1)	(2)	(3)	(4)	(5)	(6)	(7)
Estimated Financial Position as of 12/31/2024							
Independent Physician & Surgeons	82,463,038	80,632,117	87,324,583	82,463,038	0	0	0
Hospitals & OHCF's	260,103,918	254,140,375	275,234,026	225,812,331	34,291,587	26,497,124	54,283,241
Total	342,566,955	334,772,492	362,558,609	308,275,368	34,291,587	26,497,124	54,283,241

Amortization of Deficit Surcharge

	Calendar Year						
	2025	2026	2027	2028	2029	2030	Total
Independent Physician & Surgeons							
(8) Deficit Surcharge/Legislative Infusion		0	0	0	0	0	0
(9) Discounted Deficit Surcharge		0	0	0	0	0	0
(10) Surcharge		22,344,138	23,461,345	24,634,412	25,866,132	27,159,439	123,465,466
(11) Deficit Surcharge as a % of Surcharge	N/A	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%
Hospitals & OHCF's							
(8) Deficit Surcharge	18,734,970	16,716,864					35,451,834
(9) Discounted Deficit Surcharge	18,415,471	15,876,116					34,291,587
(10) Surcharge	68,714,443	70,473,364					139,187,807
(11) Deficit Surcharge as a % of Surcharge	26.8%	22.5%					24.6%
Combined							
(8) Deficit Surcharge		16,716,864	0	0	0	0	16,716,864
(9) Discounted Deficit Surcharge		15,876,116	0	0	0	0	15,876,116
(10) Surcharge		92,817,502	23,461,345	24,634,412	25,866,132	27,159,439	193,938,830
(11) Deficit Surcharge as a % of Surcharge		17.1%	0.0%	0.0%	0.0%	0.0%	8.2%

Column/Row

Note

- | | |
|----------|--|
| (1) | Exhibit 1, Page 1, Col (8) |
| (2) | Exhibit 1, Page 1, Col (10) |
| (3) | Exhibit 1, Page 1, Col (12) |
| (4) | Total provided by client; allocated between independent physicians & surgeons and hospitals based on Fund Summary, Page 2 |
| (5) | Col (5), Total = Col (1) - Col (4); Allocation between Physicians & Surgeons/Hospitals based on Fund Summary, Page 2, Row (8) & (9), respectively |
| (6) | Col (6), Total = Col (2) - Col (4); Allocation between Physicians & Surgeons/Hospitals based on Fund Summary, Page 2, Row (8) & (9), respectively |
| (7) | Col (7), Total = Col (3) - Col (4); Allocation between Physicians & Surgeons/Hospitals based on Fund Summary, Page 2, Row (8) & (9), respectively |
| (8), (9) | Amortized deficit surcharge over a 5-year period at 3.5% per annum; 2025 deficit surcharge based on data provided by client; amount for 2026 are estimated |
| (10) | For 2026: Physicians & Surgeons Exhibit 1 for Physicians & Surgeons; Hospitals & Outpatient Facilities Exhibit 1 for Hospitals & OHCF's |
| | All other years trended at 5.0% per annum |
| (11) | Row (10) / Row (9) |

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Calculation of Fund Deficit Allocation

Fund Summary
Page 2

Independent Physician & Surgeons							Hospitals					
Accident Year	Practitioner Surcharges	Selected Ultimate Losses	Gain/(Loss)	Deficit Surcharges	Legislative Infusions	Gain/(Loss) Incl. Deficit Surcharges & Infusions	Hospital Surcharges	Selected Ultimate Losses	Gain/(Loss)	Deficit Surcharges	Legislative Infusions	Gain/(Loss) Incl. Deficit Surcharges & Infusions
(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)	(9)	(10)	(11)	(12)	(13)
2000	8,238,309	6,560,000	1,678,309									
2001	9,181,946	9,261,652	(79,706)									
2002	9,421,675	9,309,500	112,175									
2003	9,924,688	6,596,189	3,328,499									
2004	9,283,270	5,482,500	3,800,770									
2005	9,151,210	9,776,657	(625,447)									
2006	9,067,465	8,140,629	926,836									
2007	8,810,595	19,005,969	(10,195,374)									
2008	9,696,249	19,398,176	(9,701,927)									
2009	11,325,257	11,967,704	(642,446)				918,297	2,075,000	(1,156,703)			
2010	10,410,307	17,814,906	(7,404,598)				1,680,228	2,007,005	(326,777)			
2011	11,380,891	19,354,469	(7,973,578)				1,825,004	2,550,048	(725,044)			
2012	9,765,990	8,741,628	1,024,362				1,817,812	3,478,475	(1,660,663)			
2013	9,596,773	7,506,739	2,090,034				1,992,604	2,622,894	(630,290)			
2014	10,065,996	15,283,325	(5,217,330)				2,146,331	6,768,794	(4,622,463)			
2015	10,535,218	8,834,847	1,700,371				2,224,828	5,749,638	(3,524,810)			
2016	9,039,070	8,860,083	178,986				6,374,245	10,268,394	(3,894,149)			
2017	12,725,963	24,561,166	(11,835,202)				21,561,182	19,974,522	1,586,661			
2018	9,835,929	23,648,626	(13,812,697)				31,292,438	33,791,297	(2,498,860)			
2019	10,170,463	23,003,609	(12,833,146)				31,872,010	35,234,112	(3,362,102)			
2020	10,236,009	11,720,803	(1,484,794)				31,731,360	35,599,877	(3,868,517)			
2021	11,585,186	13,393,113	(1,807,927)				32,655,867	43,515,208	(10,859,341)			
2022	15,302,205	18,412,686	(3,110,481)				37,653,051	47,588,771	(9,935,720)			
2023	16,934,483	20,016,143	(3,081,660)				48,224,599	57,274,722	(9,050,123)			
2024	16,935,434	20,322,521	(3,387,087)				68,897,888	82,677,466	(13,779,578)			
Total	268,620,583	346,973,639	(78,353,056) -29.2%	0	86,050,000	7,696,944 2.9%	322,867,744	391,176,221	(68,308,477) -21.2%	43,086,499	12,350,000	(12,871,978) -4.0%
										Prior (14) Physicians Allocation Percentage 25.0% Selected (15) Hospital Allocation Percentage 75.0% 0.0% 100.0%		

Column/Row

- (2), (8) Based on data provided by client
(3) Exhibit 2, Col (8)
(4) Col (2) - Col (3)
(5), (11) Based on data provided by client
(6), (12) Based on data provided by client. Reflects:
2022 \$30.0M legislative infusion allocated 100% to Independent Physician & Surgeons and 0% to Hospitals
2023 \$32.5M legislative infusion allocated 62% to Independent Physician & Surgeons and 38% to Hospitals
(7) Col (4) + Col (5) + Col (6)
(9) Exhibit 5, Col (7)
(10) Col (8) - Col (9)
(13) Col (10) + Col (11) + Col (12)
(14) Judgmentally selected
(15) Judgmentally selected

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Allocation of Ultimate & Outstanding Losses by Hospital

Fund Summary

Page 3

Hospital	Estimate Hospital Surcharges	Paid Losses	Estimated Ultimate Losses	Undiscounted Reserves	Discounted Reserves	Gain/(Loss)	Ultimate Loss Ratio
(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)
Christus St. Vincent Hospital	45,991,308	35,768,585	62,583,857	26,815,273	26,178,548	(16,592,549)	136%
Community Health Systems	43,545,735	15,159,633	55,996,659	40,837,027	39,908,224	(12,450,924)	129%
LifePoint Health Group	23,266,384	8,306,756	27,139,515	18,832,759	18,406,426	(3,873,131)	117%
Lovelace Health System LLC	34,877,173	33,037,351	68,122,976	35,085,624	34,334,189	(33,245,802)	195%
Quorum Health Corporation	7,677,805	1,150,000	6,211,583	5,061,583	4,945,988	1,466,222	81%
HealthSouth Corporation	1,981,008	1,725,000	2,980,728	1,255,728	1,227,178	(999,720)	150%
Otero County Hospital Association	7,026,914	7,671,065	16,573,626	8,902,561	8,689,802	(9,546,712)	236%
Presbyterian Health Systems LLC	144,708,155	26,521,414	149,834,777	123,313,363	120,450,019	(5,126,622)	104%
Total	309,074,483	129,339,803	389,443,721	260,103,918	254,140,375	(80,369,238)	126%

Column

(2), (3)	Based on data provided by client; excluding deficit surcharge
(4)	Based on Pinnacle analysis of loss history by hospital
(5)	Col (4) - Col (3)
(6)	Col (5) x Exhibit 1, Page 1, Col (9)
(7)	Col (2) - Col (4)
(8)	Col (4) / Col (2)

Excludes Losses & Surcharges Related to Southwest and NM Heart Institute

New Mexico Patients' Compensation Fund

Reserves as of 12/31/2024

Reserve Summary

Exhibit 1

Page 1

Accident Year	Physician & Surgeons			Hospitals			Combined Selected Ultimate Reserves	Discount Factor	Estimated Discounted Reserves	Indicated Risk Margin @ 75%	Estimated Discounted Reserves @ 75%
	Selected Ultimate Losses	Paid Losses	Selected Ultimate Reserves	Selected Ultimate Losses	Paid Losses	Selected Ultimate Reserves					
(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)	(9)	(10)	(11)	(12)
2000	6,560,000	6,560,000	0				0			1.083	
2001	9,261,652	9,261,652	0				0			1.083	
2002	9,309,500	9,309,500	0				0			1.083	
2003	6,596,189	6,596,189	0				0			1.083	
2004	5,482,500	5,482,500	0				0			1.083	
2005	9,776,657	9,776,657	0				0			1.083	
2006	8,140,629	8,140,629	0				0			1.083	
2007	19,005,969	19,005,969	0				0			1.083	
2008	19,398,176	19,398,176	0				0			1.083	
2009	11,967,704	11,967,704	0	2,075,000	2,075,000	0	0			1.083	
2010	17,814,906	17,814,906	0	2,007,005	2,005,000	2,005	2,005	0.758	1,519	1.083	1,646
2011	19,354,469	19,354,469	0	2,550,048	2,547,500	2,547	2,547	0.758	1,931	1.083	2,091
2012	8,741,628	8,731,408	10,219	3,478,475	3,475,000	3,475	13,694	0.758	10,378	1.083	11,240
2013	7,506,739	7,450,000	56,739	2,622,894	2,607,237	15,656	72,396	0.992	71,814	1.083	77,775
2014	15,283,325	15,120,435	162,891	6,768,794	6,688,260	80,534	243,424	0.990	240,975	1.083	260,976
2015	8,834,847	8,602,477	232,370	5,749,638	5,624,980	124,658	357,027	0.988	352,853	1.083	382,140
2016	8,860,083	8,523,333	336,750	10,268,394	9,916,846	351,548	688,298	0.986	678,762	1.083	735,100
2017	24,561,166	23,722,500	838,666	19,974,522	19,016,636	957,886	1,796,551	0.982	1,763,525	1.083	1,909,897
2018	23,648,626	22,314,611	1,334,014	33,791,297	27,241,629	6,549,669	7,883,683	0.984	7,754,113	1.083	8,397,704
2019	23,003,609	18,868,878	4,134,731	35,234,112	19,264,470	15,969,642	20,104,373	0.991	19,933,437	1.083	21,587,912
2020	11,720,803	5,409,528	6,311,275	35,599,877	13,557,334	22,042,543	28,353,818	0.988	28,007,258	1.083	30,331,860
2021	13,393,113	1,182,167	12,210,946	43,515,208	10,699,825	32,815,384	45,026,330	0.985	44,362,665	1.083	48,044,766
2022	18,412,686	1,804,414	16,608,271	47,588,771	6,352,586	41,236,185	57,844,456	0.980	56,714,214	1.083	61,421,494
2023	20,016,143	112,500	19,903,643	57,274,722	0	57,274,722	77,178,365	0.974	75,210,098	1.083	81,452,536
2024	20,322,521	0	20,322,521	82,677,466	0	82,677,466	102,999,987	0.968	99,668,950	1.083	107,941,473
Total	346,973,639	264,510,601	82,463,038	391,176,221	131,072,303	260,103,918	342,566,955		334,772,492		362,558,609

Column/Row

- (2) Exhibit 2, Col (8)
- (3), (6) Provided by client
- (4) Col (2) - Col (3)
- (5) Exhibit 5, Col (7)
- (7) Col (5) - Col (6)
- (8) Col (4) + Col (7)
- (9) Exhibit 1, Page 2
- (10) Col (8) x Col (9)
- (11) Based on simulation analysis of future closed claims
- (12) Col (10) x Col (11)

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Calculation of Discount Factor

Exhibit 1

Page 2

Accident Year	Indicated Reserve	Months	Unpaid Percentage	Payments made at:																		Discount	Disc. on Invested Assets
				0.5 07/01/25	1.5 07/01/26	2.5 07/01/27	3.5 07/01/28	4.5 07/01/29	5.5 07/01/30	6.5 07/01/31	7.5 07/01/32	8.5 07/01/33	9.5 07/01/34	10.5 07/01/35	11.5 07/01/36	12.5 07/01/37	13.5 07/01/38	14.5 07/01/39	15.5 07/01/40	16.5 07/01/41	17.5 07/01/42		
2000	-	300	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.000	0.000
2001	-	288	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.000	0.000
2002	-	276	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.000	0.000
2003	-	264	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.000	0.000
2004	-	252	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.000	0.000
2005	-	240	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.000	0.000
2006	-	228	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.000	0.000
2007	-	216	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.000	0.000
2008	-	204	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.000	0.000
2009	-	192	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.000	0.000
2010	2,005	180	0.1%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.000	0.758
2011	2,547	168	0.1%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.000	0.758
2012	13,694	156	0.1%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.000	0.758
2013	72,396	144	0.6%	83.3%	0.0%	0.0%	16.7%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.967	0.992
2014	243,424	132	1.2%	49.8%	41.8%	0.0%	0.0%	8.4%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.958	0.990
2015	357,027	120	2.2%	45.1%	27.3%	22.9%	0.0%	0.0%	4.6%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.952	0.988
2016	688,298	108	3.4%	36.7%	28.6%	17.3%	14.5%	0.0%	0.0%	2.9%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.943	0.986
2017	1,796,551	96	4.2%	18.3%	30.0%	23.3%	14.1%	11.9%	0.0%	0.0%	2.4%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.924	0.982
2018	7,883,683	84	7.4%	43.6%	10.3%	16.9%	13.2%	8.0%	6.7%	0.0%	0.0%	1.3%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.932	0.984
2019	20,104,373	72	33.9%	78.1%	9.6%	2.3%	3.7%	2.9%	1.7%	1.5%	0.0%	0.0%	0.3%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.965	0.991
2020	28,353,818	60	51.4%	34.1%	51.5%	6.3%	1.5%	2.4%	1.9%	1.2%	1.0%	0.0%	0.0%	0.2%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.950	0.988
2021	45,026,330	48	76.8%	33.1%	22.8%	34.4%	4.2%	1.6%	1.6%	1.3%	0.8%	0.6%	0.0%	0.1%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.939	0.985
2022	57,844,456	36	91.3%	15.0%	17.9%	19.2%	3.6%	1.8%	1.4%	1.2%	0.9%	0.6%	0.1%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.0%	0.930	0.983
2023	77,178,365	24	97.9%	6.8%	14.7%	26.0%	17.9%	27.0%	13.3%	10.0%	6.6%	0.5%	0.0%	0.0%	0.0%	0.1%	0.0%	0.0%	0.0%	0.0%	0.0%	0.895	0.974
2024	102,999,987	12	99.6%	1.7%	6.7%	14.5%	25.6%	17.6%	26.5%	3.3%	0.8%	1.3%	1.0%	0.6%	0.5%	0.0%	0.0%	0.1%	0.0%	0.0%	0.0%	0.866	0.968
Total	342,566,955			60,793,074	62,926,798	65,753,947	61,351,086	43,572,087	32,549,698	5,964,241	3,066,156	2,841,669	1,852,748	1,059,605	572,295	63,318	78,719	103,266	0	0	0	0	

[illegible]

Row	Note
(1)	$1 / (1 + \text{Discount Factor})^A$ (Payments made at date - 12/31/24) Assumes payments are made uniformly throughout the policy period, starting six months subsequent to the loss evaluation date.
(2)	Annual Discount Factor x Payments made at date
(3)	Sum across all years
(4)	(3) / Total Reserves; discount on invested assets is based on information provided by client.
(5)	(4). Discount on invested assets x undiscounted reserves

New Mexico Patients' Compensation Fund

Reserves as of 12/31/2024

2023 and 2024 Comparison - Combined

Exhibit 1

Page 3

Accident Year	as of 12/31/24				as of 12/31/23				Difference					
	NMPCF Ultimate	NMPCF Paid	NMPCF Undiscounted	NMPCF Discounted	NMPCF Ultimate	NMPCF Paid	NMPCF Undiscounted	NMPCF Discounted	NMPCF Ultimate	NMPCF Paid	NMPCF Undiscounted	NMPCF Discounted		
	Losses	Losses	Reserves	Reserves	Losses	Losses	Reserves	Reserves	Losses	Losses	Reserves	Reserves		
2000	6,560,000	6,560,000	0	0	6,560,000	6,560,000	0	0	0	0%	0	0%	0	0
2001	9,261,652	9,261,652	0	0	9,261,652	9,261,652	0	0	0	0%	0	0%	0	0
2002	9,309,500	9,309,500	0	0	9,309,500	9,309,500	0	0	0	0%	0	0%	0	0
2003	6,596,189	6,596,189	0	0	6,596,189	6,596,189	0	0	0	0%	0	0%	0	0
2004	5,482,500	5,482,500	0	0	5,482,500	5,482,500	0	0	0	0%	0	0%	0	0
2005	9,776,657	9,776,657	0	0	9,776,657	9,776,657	0	0	0	0%	0	0%	0	0
2006	8,140,629	8,140,629	0	0	8,140,629	8,140,629	0	0	0	0%	0	0%	0	0
2007	19,005,969	19,005,969	0	0	19,005,969	19,005,969	0	0	0	0%	0	0%	0	0
2008	19,398,176	19,398,176	0	0	19,398,176	19,398,176	0	0	0	0%	0	0%	0	0
2009	14,042,704	14,042,704	0	0	13,892,704	13,892,704	0	0	150,000	1%	150,000	1%	0	0
2010	19,821,911	19,819,906	2,005	1,519	19,819,906	19,819,906	0	0	2,005	0%	0	0%	2,005	1,519
2011	21,904,516	21,901,969	2,547	1,931	21,901,969	21,901,969	0	0	2,548	0%	0	0%	2,547	1,931
2012	12,220,103	12,206,408	13,694	10,378	11,799,421	11,759,408	40,013	39,915	420,682	4%	447,000	4%	(26,318)	-66% (29,537) -74%
2013	10,129,633	10,057,237	72,396	71,814	9,588,970	9,507,237	81,732	81,366	540,663	6%	550,000	6%	(9,337)	-11% (9,552) -12%
2014	22,052,119	21,808,695	243,424	240,975	20,902,138	20,608,695	293,443	291,803	1,149,981	6%	1,200,000	6%	(50,019)	-17% (50,828) -17%
2015	14,584,484	14,227,457	357,027	352,853	12,009,931	11,639,980	369,951	367,309	2,574,553	21%	2,587,477	22%	(12,924)	-3% (14,456) -4%
2016	19,128,477	18,440,179	688,298	678,762	19,815,583	19,070,179	745,403	738,873	(687,105)	-3%	(630,000)	-3%	(57,105)	-8% (60,111) -8%
2017	44,535,687	42,739,136	1,796,551	1,763,525	43,259,518	40,139,136	3,120,381	3,096,043	1,276,170	3%	2,600,000	6%	(1,323,830)	-42% (1,332,519) -43%
2018	57,439,923	49,556,240	7,883,683	7,754,113	56,088,206	36,429,694	19,658,512	19,569,438	1,351,717	2%	13,126,547	36%	(11,774,829)	-60% (11,815,326) -60%
2019	58,237,721	38,133,348	20,104,373	19,933,437	53,015,974	21,478,500	31,537,474	31,316,971	5,221,747	10%	16,654,848	78%	(11,433,101)	-36% (11,383,535) -36%
2020	47,320,680	18,966,863	28,353,818	28,007,258	53,726,706	11,399,061	42,327,645	41,966,367	(6,406,026)	-12%	7,567,802	66%	(13,973,828)	-33% (13,959,109) -33%
2021	56,908,321	11,881,991	45,026,330	44,362,665	54,268,687	3,272,000	50,996,687	50,411,036	2,639,634	5%	8,609,991	263%	(5,970,357)	-12% (6,048,371) -12%
2022	66,001,456	8,157,000	57,844,456	56,714,214	65,570,403	2,056,000	63,514,403	62,562,663	431,053	1%	6,101,000	297%	(5,669,947)	-9% (5,848,449) -9%
2023	77,290,865	112,500	77,178,365	75,210,098	80,178,767	0	80,178,767	78,652,444	(2,887,902)	-4%	112,500		(3,000,402)	-4% (3,442,346) -4%
Subtotal	635,149,873	395,582,904	239,566,969	235,103,542	629,370,152	336,505,740	292,864,412	289,094,230	5,779,721	1%	59,077,165	18%	(53,297,444)	-18% (53,990,688) -19%
2024	102,999,987	0	102,999,987	99,668,950					102,999,987		0		102,999,987	99,668,950
Total	738,149,860	395,582,904	342,566,955	334,772,492	629,370,152	336,505,740	292,864,412	289,094,230	108,779,708		59,077,165		49,702,543	45,678,262

Reconciliation of Undiscounted Reserves from 12/31/23 to 12/31/24

Undiscounted Reserves as of 12/31/23	292,864,412
Ultimate Excess Losses for 2024	102,999,987
Paid Losses from 12/31/23 to 12/31/24	59,077,165
Change in Estimated Ultimate Excess Losses for 2023 & Prior	5,779,721
Undiscounted Reserves as of 12/31/24	342,566,955

New Mexico Patients' Compensation Fund

Reserves as of 12/31/2024

2023 and 2024 Comparison - Independent Physicians & Surgeons

Exhibit 1

Page 4

Accident Year	as of 12/31/24				as of 12/31/23				Difference							
	NMPCF Ultimate	NMPCF Paid	NMPCF Undiscounted	NMPCF Discounted	NMPCF Ultimate	NMPCF Paid	NMPCF Undiscounted	NMPCF Discounted	NMPCF Ultimate		NMPCF Paid		NMPCF Undiscounted		NMPCF Discounted	
	Losses	Losses	Reserves	Reserves	Losses	Losses	Reserves	Reserves	Losses		Losses		Reserves		Reserves	
2000	6,560,000	6,560,000	0	0	6,560,000	6,560,000	0	0	0	0%	0	0%	0	0%	0	0
2001	9,261,652	9,261,652	0	0	9,261,652	9,261,652	0	0	0	0%	0	0%	0	0%	0	0
2002	9,309,500	9,309,500	0	0	9,309,500	9,309,500	0	0	0	0%	0	0%	0	0%	0	0
2003	6,596,189	6,596,189	0	0	6,596,189	6,596,189	0	0	0	0%	0	0%	0	0%	0	0
2004	5,482,500	5,482,500	0	0	5,482,500	5,482,500	0	0	0	0%	0	0%	0	0%	0	0
2005	9,776,657	9,776,657	0	0	9,776,657	9,776,657	0	0	0	0%	0	0%	0	0%	0	0
2006	8,140,629	8,140,629	0	0	8,140,629	8,140,629	0	0	0	0%	0	0%	0	0%	0	0
2007	19,005,969	19,005,969	0	0	19,005,969	19,005,969	0	0	0	0%	0	0%	0	0%	0	0
2008	19,398,176	19,398,176	0	0	19,398,176	19,398,176	0	0	0	0%	0	0%	0	0%	0	0
2009	11,967,704	11,967,704	0	0	11,817,704	11,817,704	0	0	150,000	1%	150,000	1%	0	0%	0	0
2010	17,814,906	17,814,906	0	0	17,814,906	17,814,906	0	0	0	0%	0	0%	0	0%	0	0
2011	19,354,469	19,354,469	0	0	19,354,469	19,354,469	0	0	0	0%	0	0%	0	0%	0	0
2012	8,741,628	8,731,408	10,219	7,745	8,313,996	8,284,408	29,588	29,516	427,632	5%	447,000	5%	(19,368)	-65%	(21,771)	-74%
2013	7,506,739	7,450,000	56,739	56,283	6,963,451	6,900,000	63,451	63,166	543,289	8%	550,000	8%	(6,711)	-11%	(6,883)	-11%
2014	15,283,325	15,120,435	162,891	161,252	14,113,099	13,920,435	192,664	191,587	1,170,227	8%	1,200,000	9%	(29,773)	-15%	(30,335)	-16%
2015	8,834,847	8,602,477	232,370	229,653	6,243,096	6,015,000	228,096	226,467	2,591,751	42%	2,587,477	43%	4,274	2%	3,186	1%
2016	8,860,083	8,523,333	336,750	332,085	8,999,236	8,645,000	354,236	351,133	(139,152)	-2%	(121,667)	-1%	(17,485)	-5%	(19,048)	-5%
2017	24,561,166	23,722,500	838,666	823,248	21,257,203	19,922,500	1,334,703	1,324,292	3,303,963	16%	3,800,000	19%	(496,037)	-37%	(501,044)	-38%
2018	23,648,626	22,314,611	1,334,014	1,312,090	18,258,276	11,916,289	6,341,987	6,313,251	5,390,350	30%	10,398,323	87%	(5,007,973)	-79%	(5,001,161)	-79%
2019	23,003,609	18,868,878	4,134,731	4,099,575	15,913,636	7,693,375	8,220,261	8,162,787	7,089,973	45%	11,175,503	145%	(4,085,530)	-50%	(4,063,211)	-50%
2020	11,720,803	5,409,528	6,311,275	6,234,134	11,646,896	1,182,782	10,464,114	10,374,800	73,907	1%	4,226,746	357%	(4,152,839)	-40%	(4,140,665)	-40%
2021	13,393,113	1,182,167	12,210,946	12,030,963	13,612,594	0	13,612,594	13,456,265	(219,481)	-2%	1,182,167		(1,401,648)	-10%	(1,425,302)	-11%
2022	18,412,686	1,804,414	16,608,271	16,283,757	17,980,091	85,714	17,894,376	17,626,236	432,595	2%	1,718,700	2005%	(1,286,105)	-7%	(1,342,479)	-8%
2023	20,016,143	112,500	19,903,643	19,396,044	19,898,018	0	19,898,018	19,519,229	118,126	1%	112,500		5,626	0%	(123,185)	-1%
Subtotal	326,651,118	264,510,601	62,140,516	60,966,829	305,717,939	227,083,853	78,634,086	77,638,728	20,933,179	7%	37,426,749	16%	(16,493,569)	-21%	(16,671,899)	-21%
2024	20,322,521	0	20,322,521	19,665,288					20,322,521		0		20,322,521		19,665,288	
Total	346,973,639	264,510,601	82,463,038	80,632,117	305,717,939	227,083,853	78,634,086	77,638,728	41,255,700		37,426,749		3,828,952		2,993,388	

Reconciliation of Undiscounted Reserves from 12/31/23 to 12/31/24

Undiscounted Reserves as of 12/31/23	78,634,086
Ultimate Excess Losses for 2024	20,322,521
Paid Losses from 12/31/23 to 12/31/24	37,426,749
Change in Estimated Ultimate Excess Losses for 2023 & Prior	20,933,179
Undiscounted Reserves as of 12/31/24	82,463,038

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
2023 and 2024 Comparison - Hospitals

Exhibit 1
Page 5

Accident Year	as of 12/31/24				as of 12/31/23				Difference							
	NMPCF Ultimate	NMPCF Paid	NMPCF Undiscounted	NMPCF Discounted	NMPCF Ultimate	NMPCF Paid	NMPCF Undiscounted	NMPCF Discounted	NMPCF Ultimate		NMPCF Paid		NMPCF Undiscounted		NMPCF Discounted	
	Losses	Losses	Reserves	Reserves	Losses	Losses	Reserves	Reserves	Losses		Losses		Reserves		Reserves	
2009	2,075,000	2,075,000	0	0	2,075,000	2,075,000	0	0	0	0%	0	0%	0		0	
2010	2,007,005	2,005,000	2,005	1,519	2,005,000	2,005,000	0	0	2,005	0%	0	0%	2,005		1,519	
2011	2,550,048	2,547,500	2,547	1,931	2,547,500	2,547,500	0	0	2,547	0%	0	0%	2,547		1,931	
2012	3,478,475	3,475,000	3,475	2,634	3,485,425	3,475,000	10,425	10,400	(6,950)	0%	0	0%	(6,950)	-67%	(7,766)	-75%
2013	2,622,894	2,607,237	15,656	15,531	2,625,519	2,607,237	18,282	18,200	(2,625)	0%	0	0%	(2,625)	-14%	(2,669)	-15%
2014	6,768,794	6,688,260	80,534	79,723	6,789,039	6,688,260	100,779	100,216	(20,246)	0%	0	0%	(20,246)	-20%	(20,493)	-20%
2015	5,749,638	5,624,980	124,658	123,200	5,766,835	5,624,980	141,855	140,842	(17,197)	0%	0	0%	(17,197)	-12%	(17,642)	-13%
2016	10,268,394	9,916,846	351,548	346,677	10,816,347	10,425,179	391,167	387,741	(547,953)	-5%	(508,333)	-5%	(39,620)	-10%	(41,063)	-11%
2017	19,974,522	19,016,636	957,886	940,276	22,002,315	20,216,636	1,785,679	1,771,751	(2,027,793)	-9%	(1,200,000)	-6%	(827,793)	-46%	(831,474)	-47%
2018	33,791,297	27,241,629	6,549,669	6,442,023	37,829,931	24,513,405	13,316,525	13,256,187	(4,038,633)	-11%	2,728,224	11%	(6,766,857)	-51%	(6,814,164)	-51%
2019	35,234,112	19,264,470	15,969,642	15,833,861	37,102,338	13,785,125	23,317,213	23,154,185	(1,868,226)	-5%	5,479,345	40%	(7,347,571)	-32%	(7,320,323)	-32%
2020	35,599,877	13,557,334	22,042,543	21,773,124	42,079,810	10,216,278	31,863,532	31,591,568	(6,479,933)	-15%	3,341,056	33%	(9,820,989)	-31%	(9,818,444)	-31%
2021	43,515,208	10,699,825	32,815,384	32,331,702	40,656,093	3,272,000	37,384,093	36,954,771	2,859,115	7%	7,427,825	227%	(4,568,709)	-12%	(4,623,069)	-13%
2022	47,588,771	6,352,586	41,236,185	40,430,457	47,590,312	1,970,286	45,620,027	44,936,428	(1,542)	0%	4,382,300	222%	(4,383,842)	-10%	(4,505,970)	-10%
2023	57,274,722	0	57,274,722	55,814,054	60,280,749	0	60,280,749	59,133,215	(3,006,027)	-5%	0		(3,006,027)	-5%	(3,319,161)	-6%
Subtotal	308,498,755	131,072,303	177,426,452	174,136,712	323,652,214	109,421,887	214,230,326	211,455,502	(15,153,458)	-5%	21,650,416	20%	(36,803,874)	-17%	(37,318,789)	-18%
2024	82,677,466	0	82,677,466	80,003,663					82,677,466		0		82,677,466		80,003,663	
Total	391,176,221	131,072,303	260,103,918	254,140,375	323,652,214	109,421,887	214,230,326	211,455,502	67,524,007		21,650,416		45,873,591		42,684,874	

Reconciliation of Undiscounted Reserves from 12/31/23 to 12/31/24

Undiscounted Reserves as of 12/31/23	214,230,326
Ultimate Excess Losses for 2024	82,677,466
Paid Losses from 12/31/23 to 12/31/24	21,650,416
Change in Estimated Ultimate Excess Losses for 2023 & Prior	(15,153,458)
Undiscounted Reserves as of 12/31/24	260,103,918

New Mexico Patients' Compensation Fund

Exhibit 2

Reserves as of 12/31/2024

Independent Physicians & Surgeons

Including Batch Claims

Selected Ultimate Losses

Accident Year	Practitioner Surcharges	Paid Losses	Indicated Ultimate Losses				Selected Ultimate Losses	Loss Ratio
			B-F Method	Expected Loss Ratio Method	Paid Development Method	Frequency/ Severity Method		
(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)	(9)
2000	8,238,309	6,560,000	6,560,000	9,885,971	6,560,000	4,123,903	6,560,000	79.6%
2001	9,181,946	9,261,652	9,261,652	11,018,335	9,261,652	7,292,797	9,261,652	100.9%
2002	9,421,675	9,309,500	9,309,500	11,306,010	9,309,500	6,221,668	9,309,500	98.8%
2003	9,924,688	6,596,189	6,596,189	11,909,625	6,596,189	6,532,751	6,596,189	66.5%
2004	9,283,270	5,482,500	5,482,500	11,139,924	5,482,500	6,067,921	5,482,500	59.1%
2005	9,151,210	9,776,657	9,776,657	10,981,452	9,776,657	9,141,454	9,776,657	106.8%
2006	9,067,465	8,140,629	8,140,629	10,880,958	8,140,629	6,689,883	8,140,629	89.8%
2007	8,810,595	19,005,969	19,005,969	10,572,714	19,005,969	18,629,869	19,005,969	215.7%
2008	9,696,249	19,398,176	19,398,176	11,635,499	19,398,176	23,730,177	19,398,176	200.1%
2009	11,325,257	11,967,704	11,967,704	13,590,309	11,967,704	12,795,055	11,967,704	105.7%
2010	10,410,307	17,814,906	17,827,386	12,492,369	17,832,721	16,970,283	17,814,906	171.1%
2011	11,380,891	19,354,469	19,368,112	13,657,069	19,373,823	11,879,198	19,354,469	170.1%
2012	9,765,990	8,731,408	8,743,116	11,719,188	8,740,140	8,185,510	8,741,628	89.5%
2013	9,596,773	7,450,000	7,518,742	11,516,128	7,494,737	6,139,133	7,506,739	78.2%
2014	10,065,996	15,120,435	15,264,150	12,079,195	15,302,501	13,751,657	15,283,325	151.8%
2015	10,535,218	8,602,477	8,876,573	12,642,261	8,793,120	6,317,167	8,834,847	83.9%
2016	9,039,070	8,523,333	8,894,686	10,846,883	8,825,481	13,266,051	8,860,083	98.0%
2017	12,725,963	23,722,500	24,362,372	15,271,156	24,759,959	22,883,939	24,561,166	193.0%
2018	9,835,929	22,314,611	23,191,585	11,803,115	24,105,667	26,639,890	23,648,626	240.4%
2019	10,170,463	18,868,878	23,003,609	12,204,556	28,536,712	32,908,099	23,003,609	226.2%
2020	10,236,009	5,409,528	11,720,803	12,283,211	11,126,439	21,020,048	11,720,803	114.5%
2021	11,585,186	1,182,167	11,865,781	13,902,223	5,106,164	20,861,678	13,393,113	115.6%
2022	15,302,205	1,804,414	18,562,805	18,362,646	20,653,716	27,301,587	18,412,686	120.3%
2023	16,934,483	112,500	20,016,143	20,321,380	5,472,722	28,000,000	20,016,143	118.2%
2024	16,935,434	0	20,249,867	20,322,521	0	27,300,000	20,322,521	120.0%
Total	268,620,583	264,510,601	344,964,706	322,344,699	311,622,876	384,649,718	346,973,639	129.2%
2009-24	185,845,175	170,979,330	251,433,434	223,014,210	218,091,605	296,219,296	253,442,368	136.4%

Column	Note
(2), (3)	Based on data provided by client
(4)	Appendix 1, Page 1, Col (6)
(5)	Appendix 1, Page 2, Col (6)
(6)	Appendix 2, Col (5)
(7)	Appendix 3, Page 1, Col (4)
(8)	Judgmental selection based on Cols (4) - (7)
(9)	Col (8) / Col (2)

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Development of Physician Surcharge Estimates

Exhibit 3

Page 1

NMPCF Indicated Surcharge Physicians and Surgeons												
Class	NMPCF Current Surcharge		Discounted Estimated Surcharges						Deficit Surcharge Rates			
	Independent Providers	Hosp. & OHCF Employed Providers	1/1/26-27 Rate Level						Independent Providers		Hosp. & OHCF Employed Providers	
			Independent Providers		Hosp. & OHCF Employed Providers		Ind. OHCF Employed Providers		Deficit		Deficit	
			Expected	Risk Loaded	Expected	Risk Loaded	Expected	Risk Loaded	Surcharge as	Expected	Surcharge as	Expected
			Value	Value	Value	Value	Value	Value	% of Surcharge	Value	% of Surcharge	Value
(1)	(2a)	(2b)	(3)	(4)	(5)	(6)	(7)	(8)	(9a)	(9b)	(9c)	(9d)
1	\$5,171	\$11,921	\$5,997	\$6,494	\$12,226	\$13,241	\$3,466	\$3,754	0.0%	\$0	22.5%	\$2,754
2	6,894	15,897	7,995	8,658	16,304	17,657	4,621	5,004	0.0%	0	22.5%	3,673
3	8,272	19,075	9,593	10,389	19,563	21,187	5,544	6,004	0.0%	0	22.5%	4,407
4A	10,340	23,847	11,991	12,986	24,457	26,487	6,930	7,506	0.0%	0	22.5%	5,510
4	12,409	28,615	14,390	15,585	29,347	31,783	8,317	9,007	0.0%	0	22.5%	6,611
5A	11,720	27,024	13,591	14,719	27,716	30,016	7,855	8,507	0.0%	0	22.5%	6,244
5	15,167	34,972	17,589	19,049	35,867	38,844	10,166	11,009	0.0%	0	22.5%	8,080
6	17,924	41,332	20,786	22,511	42,390	45,908	12,014	13,011	0.0%	0	22.5%	9,550
7A	20,682	47,689	23,984	25,975	48,910	52,969	13,862	15,013	0.0%	0	22.5%	11,018
7	24,129	55,639	27,982	30,304	57,063	61,799	16,172	17,515	0.0%	0	22.5%	12,855
8	32,745	75,512	37,973	41,125	77,445	83,873	21,947	23,769	0.0%	0	22.5%	17,447
9	39,640	91,407	45,969	49,785	93,747	101,528	26,569	28,774	0.0%	0	22.5%	21,119
10	44,809	103,330	51,964	56,277	105,975	114,771	30,033	32,526	0.0%	0	22.5%	23,874
51	10%	10%	10%	10%	10%	10%	6%	6%				
52	10%	10%	10%	10%	10%	10%	6%	6%				
53	10%	10%	10%	10%	10%	10%	6%	6%				
99	4,137	9,538	4,798	5,196	9,782	10,594	2,773	3,003	0.0%	0	22.5%	2,204
CRNA	1,724	3,976	1,999	2,165	4,078	4,416	1,156	1,251	0.0%	0	22.5%	919
CN	1,104	2,545	1,280	1,387	2,610	2,827	740	801				
PA-1	2,344	5,404	2,718	2,944	5,542	6,002	1,571	1,701	0.0%	0	22.5%	1,249
PA-2	3,102	7,153	3,597	3,896	7,336	7,945	2,079	2,252	0.0%	0	22.5%	1,653
PA-3	3,723	8,584	4,317	4,676	8,804	9,534	2,495	2,702	0.0%	0	22.5%	1,983
Total												
(12)	Class 1 Rate											
	\$5,171	\$11,921	\$5,997	\$6,494	\$12,226	\$13,241						
(13)	Indicated Percent of Change											
			16.0%	25.6%	2.6%	11.1%						
Column/Row	Note											
(2)	Provided by NMPCF											
(3)-(6)	Based on indicated surcharge changes in Exhibit 4 & Exhibit 6											
(7)	Col (3) x 58%; 58% based on Pinnacle analysis of industry data											
(8)	Col (4) x 58%; 58% based on Pinnacle analysis of industry data											
(9a)	From Fund Summary, Page 1, Row (15) for 2026											
(9b)	Col (3) x Col (11a)											
(9c)	From Fund Summary, Page 1, Row (15) for 2026											
(9d)	Col (5) x Col (11c)											

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024

Exhibit 3

Page 2

Independent Outpatient Healthcare Facilities Rates

Facility Type	Exposure Type	January 1, 2024 Rates at 1M / 3M Limit	Trend Factor to January 1, 2026	Increased Limits Factor to \$600,495 xs \$500,000	January 1, 2026 Indicated Rate at \$600,495 xs \$500,000 Limit
(1)	(2)	(3)	(4)	(5)	(6)
Cardiac Rehabilitation Centers	Per 100 Visits	307.85	1.103	0.134	45.32
College/University Health Centers	Per 100 Visits	137.09	1.103	0.134	20.18
Community Health Centers	Per 100 Visits	214.2	1.103	0.134	31.54
Dialysis Centers	Per 100 Visits	299.88	1.103	0.134	44.15
Home Health/Hospice Care	Per 100 Visits	59.5	1.103	0.134	8.76
Medical Laboratories	Per \$1,000 Receipts	14.52	1.103	0.134	2.14
Medispas	Per 100 Visits	214.2	1.103	0.134	31.54
Mental Health Counseling Centers	Per 100 Visits	224.43	1.103	0.134	33.04
Pathology Laboratories	Per \$1,000 Receipts	12.38	1.103	0.134	1.82
Physical/Occupational Rehabilitation Centers	Per 100 Visits	250.14	1.103	0.134	36.83
Quality Control/Reference Laboratories	Per \$1,000 Receipts	13.09	1.103	0.134	1.93
Sleep Centers	Per 100 Visits	214.2	1.103	0.134	31.54
Substance Abuse Counseling Centers	Per 100 Visits	320.71	1.103	0.134	47.22
Surgery Centers	Per 100 Visits	1,190.00	1.103	0.134	175.20
Urgent Care Centers	Per 100 Visits	531.34	1.103	0.134	78.23
X-Ray/Imaging Centers	Per \$1,000 Receipts	14.52	1.103	0.134	2.14
Emergency Room Visits	Per 100 Visits	556	1.103	0.134	81.86

Column
(1)-(3), (5)
(4)
(6)

Note
Based on Pinnacle analysis of industry data
Based on selected trend of 5.0%
Col (3) x Col (4) x Col (5)

New Mexico Patients' Compensation Fund

Reserves as of 12/31/2024

Indicated Rate Change Effective 1/1/26 through 1/1/27

Independent Physicians & Surgeons

Exhibit 4

Page 1

	Indicated Assessment Level Change on January 1, 2026	Offset Due to Changes in Class Plan	Increased Limits Factor to \$658,779 xs \$250,000	Indicated Rate Change	Deficit Surcharge as a % of Surcharge	Indicated Rate Change w/ Deficit Surcharge
	(1)	(2)	(3)	(4)	(5)	(6)
w/o Risk Margin	13.6%	0.0%	2.1%	16.0%	0.0%	16.0%
w/ Risk Margin	23.0%	0.0%	2.1%	25.6%	0.0%	25.6%

Column

- (1) Exhibit 4, Pages 2-3, Row (14) & (15), respectively
- (2) Based on class plan review provided by Pinnacle
- (3) Based on Pinnacle analysis of industry data
- (4) $[(1 + \text{Col (1)}) \times (1 + \text{Col (2)}) \times (1 + \text{Col (3)})] - 1$
- (5) From Fund Summary, Page 1, Row (15) for 2026
- (6) $[(1 + \text{Col (4)}) \times (1 + \text{Col (5)})] - 1$

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Indicated Rate Change Effective 1/1/26 through 1/1/27
Using Expected Value Losses
Independent Physicians & Surgeons

Exhibit 4

Page 2

Accident Year	Practitioner Surcharges @ 01/01/25 Level	Projected Ultimate Losses @ Historical Levels	Increased Limits Factor	Trended Ultimate Losses @ 01/01/25 Level	Trended Ultimate Loss Ratio
(1)	(2)	(3)	(4)	(5)	(6)
2015	22,065,995	8,834,847	1.183	17,030,765	77.2%
2016	18,880,982	8,860,083	1.183	16,266,108	86.2%
2017	25,016,278	24,561,166	1.183	42,944,299	171.7%
2018	17,611,775	23,648,626	1.183	39,379,769	223.6%
2019	18,028,585	23,003,609	1.183	36,481,604	202.4%
2020	17,535,889	11,720,803	1.183	17,702,966	101.0%
2021	18,107,577	13,393,113	1.183	19,265,526	106.4%
2022	21,317,508	18,412,686	1.144	24,386,584	114.4%
2023	21,193,264	20,016,143	1.078	23,790,393	112.3%
2024	19,267,686	20,322,521	1.025	21,877,051	113.5%
All Years	199,025,537	172,773,597		259,125,065	130.2%
2015 - 2022	158,564,588	132,434,933		213,457,621	134.6%
2018 - 2022	92,601,333	90,178,837		137,216,449	148.2%
2021 - 2024	79,886,034	72,144,463		89,319,554	111.8%
(7)	Projected 2025-2026 Undiscounted Loss Ratio (Selected Based on Col (6))				123.2%
(8)	Projected 2025-2026 Surcharges at Current Fee Level				19,267,686
(9)	Projected 2025-2026 Undiscounted Losses				23,740,433
(10)	Projected Loss Adjustment Expenses as a Percentage of Losses Paid				3.6%
(11)	Discount Factor at 3.5% Yield				0.838
(12)	Projected Office Expenses as a Percentage of Surcharges Collected				1.1%
(13)	Projected 2026-2027 Income Requirements				21,882,778
(14)	Indicated Assessment Level Change on January 1, 2026				13.6%

Column / Row Note

- (2) Based on data provided by client
- (3) Exhibit 2, Col (8)
- (4) Based on industry data
- (5) $[\text{Col (3)} \times \text{Col (4)}] \times [1 + \text{selected trend rate of 5.0\%}]^{\wedge} (2025 - \text{Col (1)})$
- (6) $\text{Col (5)} / \text{Col (2)}$
- (8) Most current surcharge
- (9) $\text{Row (7)} \times \text{Row (8)}$
- (10) From Exhibit 7
- (11) Based on data provided by client
- (12) From Exhibit 7
- (13) $[\text{Row (9)} \times [1 + \text{selected trend rate of 5.0\%}] \times [1 + \text{Row (10)}] \times \text{Row (11)}] / [1 - \text{Row (12)}]$
- (14) $\text{Row (13)} / \text{Row (8)} - 1$

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Indicated Rate Change Effective 1/1/26 through 1/1/27
Using Expected Value Losses with Risk Load
Independent Physicians & Surgeons

Exhibit 4

Page 3

Accident Year	Practitioner Surcharges @ 01/01/25 Level	Projected Ultimate Losses @ Historical Levels	Increased Limits Factor	Trended Ultimate Losses @ 01/01/25 Level	Trended Ultimate Loss Ratio
(1)	(2)	(3)	(4)	(5)	(6)
2015	22,065,995	8,834,847	1.183	17,030,765	77.2%
2016	18,880,982	8,860,083	1.183	16,266,108	86.2%
2017	25,016,278	24,561,166	1.183	42,944,299	171.7%
2018	17,611,775	23,648,626	1.183	39,379,769	223.6%
2019	18,028,585	23,003,609	1.183	36,481,604	202.4%
2020	17,535,889	11,720,803	1.183	17,702,966	101.0%
2021	18,107,577	13,393,113	1.183	19,265,526	106.4%
2022	21,317,508	18,412,686	1.144	24,386,584	114.4%
2023	21,193,264	20,016,143	1.078	23,790,393	112.3%
2024	19,267,686	20,322,521	1.025	21,877,051	113.5%
All Years	199,025,537	172,773,597		259,125,065	130.2%
2015 - 2022	158,564,588	132,434,933		213,457,621	134.6%
2018 - 2022	92,601,333	90,178,837		137,216,449	148.2%
2021 - 2024	79,886,034	72,144,463		89,319,554	111.8%
(7)	Projected 2025-2026 Undiscounted Loss Ratio (Selected Based on Col (6))				123.2%
(8)	Projected 2025-2026 Surcharges at Current Fee Level				19,267,686
(9)	Projected 2025-2026 Undiscounted Losses				23,740,433
(10)	Projected Loss Adjustment Expenses as a Percentage of Losses Paid				3.6%
(11)	Discount Factor at 3.5% Yield				0.838
(12)	Risk Margin Factor at 75% Confidence Level				1.083
(13)	Projected Office Expenses as a Percentage of Surcharges Collected				1.1%
(14)	Projected 2026-2027 Income Requirements @ 75%				23,699,049
(15)	Indicated Assessment Level Change on January 1, 2026				23.0%

Column / Row Note

- (2) Based on data provided by client
- (3) Exhibit 2, Col (8)
- (4) Based on industry data
- (5) $[\text{Col (3)} \times \text{Col (4)}] \times [1 + \text{selected trend rate of 5.0\%}]^{\wedge} (\text{2025} - \text{Col (1)})$
- (6) $\text{Col (5)} / \text{Col (2)}$
- (8) Most current surcharge
- (9) $\text{Row (7)} \times \text{Row (8)}$
- (10) From Exhibit 7
- (11) Based on data provided by client
- (12) Based on stochastic modeling using client data
- (13) From Exhibit 7
- (14) $[\text{Row (9)} \times [1 + \text{selected trend rate of 5.0\%}] \times [1 + \text{Row (10)}] \times \text{Row (11)} \times \text{Row (12)}] / [1 - \text{Row (13)}]$
- (15) $\text{Row (14)} / \text{Row (8)} - 1$

New Mexico Patients' Compensation Fund

Exhibit 5

Reserves as of 12/31/2024

Hospitals

Selected Ultimate Losses

Accident Year	Hospital Surcharges	Paid Losses	Indicated Ultimate Losses			Selected Ultimate Losses	Loss Ratio
			B-F Method	Expected Loss Ratio Method	Paid Development Method		
(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)
2009	918,297	2,075,000	2,075,000	1,101,956	2,075,000	2,075,000	226.0%
2010	1,680,228	2,005,000	2,007,014	2,016,274	2,007,005	2,007,005	119.4%
2011	1,825,004	2,547,500	2,549,688	2,190,005	2,550,048	2,550,048	139.7%
2012	1,817,812	3,475,000	3,477,179	2,181,374	3,478,475	3,478,475	191.4%
2013	1,992,604	2,607,237	2,621,510	2,391,125	2,622,894	2,622,894	131.6%
2014	2,146,331	6,688,260	6,718,904	2,575,597	6,768,794	6,768,794	315.4%
2015	2,224,828	5,624,980	5,682,864	2,669,794	5,749,638	5,749,638	258.4%
2016	6,374,245	9,916,846	10,178,720	7,649,094	10,268,394	10,268,394	161.1%
2017	21,561,182	19,016,636	20,100,750	25,873,419	19,848,293	19,974,522	92.6%
2018	31,292,438	27,241,629	30,031,669	37,550,925	29,428,145	33,791,297	108.0%
2019	31,872,010	19,264,470	32,221,813	38,246,412	29,134,993	35,234,112	110.5%
2020	31,731,360	13,557,334	33,122,121	38,077,632	27,885,027	35,599,877	112.2%
2021	32,655,867	10,699,825	40,814,377	39,187,041	46,216,039	43,515,208	133.3%
2022	37,653,051	6,352,586	47,588,771	45,183,661	72,713,068	47,588,771	126.4%
2023	48,224,599	0	56,679,924	57,869,519	0	57,274,722	118.8%
2024	68,897,888	0	82,381,890	82,677,466	0	82,677,466	120.0%
Total	322,867,744	131,072,303	378,252,195	387,441,293	260,745,812	391,176,221	121.2%

Column	Note
(2), (3)	Based on data provided by client; excludes deficit surcharge
(4)	Appendix 7, Page 1, Col (6)
(5)	Appendix 7, Page 2, Col (6)
(6)	Appendix 8, Col (5)
(7)	Judgmental selection based on Cols (4) - (6)
(8)	Col (7) / Col (2)

New Mexico Patients' Compensation Fund

Reserves as of 12/31/2024

Indicated Rate Change Effective 1/1/26 through 1/1/27

Hospitals

Exhibit 6

Page 1

	Indicated Assessment Level Change on January 1, 2026	Increased Limits Factor to \$500,000 xs \$250,000	Indicated Rate Change	Deficit Surcharge as a % of Surcharge	Indicated Rate Change w/ Deficit Surcharge
	(1)	(2)	(3)	(4)	(5)
w/o Risk Margin	2.6%	0.0%	2.6%	22.5%	25.7%
w/ Risk Margin	11.1%	0.0%	11.1%	22.5%	36.1%

Column

- (1) Exhibit 6, Pages 2-3, Row (14) & (15), respectively
- (2) Based on Pinnacle analysis of industry data
- (3) $[(1 + \text{Col (1)}) \times (1 + \text{Col (2)}) - 1]$
- (4) From Fund Summary, Page 1, Row (15) for 2026
- (5) $[(1 + \text{Col (3)}) \times (1 + \text{Col (4)}) - 1]$

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Indicated Rate Change Effective 1/1/26 through 1/1/27
Using Expected Value Losses
Hospitals

Exhibit 6

Page 2

Accident Year	Hospital Surcharges @ 01/01/25 Level	Projected Ultimate Losses @ Historical Levels	Increased Limits Factor	Trended Ultimate Losses @ 01/01/25 Level	Trended Ultimate Loss Ratio
(1)	(2)	(3)	(4)	(5)	(6)
2015	3,954,626	5,749,638	1.007	9,431,459	238.5%
2016	11,313,081	10,268,394	1.007	16,041,745	141.8%
2017	36,486,209	19,974,522	1.007	29,719,136	81.5%
2018	48,922,604	33,791,297	1.007	47,882,339	97.9%
2019	47,884,914	35,234,112	1.007	47,549,343	99.3%
2020	46,174,914	35,599,877	1.007	45,755,192	99.1%
2021	43,369,304	43,515,208	1.007	53,265,212	122.8%
2022	47,508,691	47,588,771	1.000	55,089,951	116.0%
2023	54,322,915	57,274,722	1.000	63,145,381	116.2%
2024	68,714,443	82,677,466	1.000	86,811,339	126.3%
All Years	408,651,701	371,674,006		454,691,095	111.3%
2015 - 2022	285,614,343	231,721,819		304,734,376	106.7%
2018 - 2022	233,860,427	195,729,265		249,542,036	106.7%
2021 - 2024	213,915,352	231,056,166		258,311,882	120.8%
(7) Projected 2025-2026 Undiscounted Loss Ratio (Selected Based on Col (6))					111.3%
(8) Projected 2025-2026 Surcharges at Current Fee Level					68,714,443
(9) Projected 2025-2026 Undiscounted Losses					76,455,929
(10) Projected Loss Adjustment Expenses as a Percentage of Losses Paid					3.6%
(11) Discount Factor at 3.5% Yield					0.838
(12) Projected Office Expenses as a Percentage of Surcharges Collected					1.1%
(13) Projected 2026-2027 Income Requirements					70,473,364
(14) Indicated Assessment Level Change on January 1, 2026					2.6%

Column / Row Note

- (2) Based on data provided by client; excludes deficit surcharge
- (3) Exhibit 5, Col (7)
- (4) Based on industry data
- (5) $[\text{Col (3)} \times \text{Col (4)}] \times [1 + \text{selected trend rate of 5.0\%}]^{\wedge} (\text{2025} - \text{Col (1)})$
- (6) $\text{Col (5)} / \text{Col (2)}$
- (8) Most current surcharge
- (9) $\text{Row (7)} \times \text{Row (8)}$
- (10) From Exhibit 7
- (11) Based on data provided by client
- (12) From Exhibit 7
- (13) $[\text{Row (9)} \times [1 + \text{selected trend rate of 5.0\%}] \times [1 + \text{Row (10)}] \times \text{Row (11)}] / [1 - \text{Row (12)}]$
- (14) $\text{Row (13)} / \text{Row (8)} - 1$

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Indicated Rate Change Effective 1/1/26 through 1/1/27
Using Expected Value Losses with Risk Load
Hospitals

Exhibit 6

Page 3

Accident Year	Hospital Surcharges @ 01/01/25 Level	Projected Ultimate Losses @ Historical Levels	Increased Limits Factor	Trended Ultimate Losses @ 01/01/25 Level	Trended Ultimate Loss Ratio
(1)	(2)	(3)	(4)	(5)	(6)
2015	3,954,626	5,749,638	1.007	9,431,459	238.5%
2016	11,313,081	10,268,394	1.007	16,041,745	141.8%
2017	36,486,209	19,974,522	1.007	29,719,136	81.5%
2018	48,922,604	33,791,297	1.007	47,882,339	97.9%
2019	47,884,914	35,234,112	1.007	47,549,343	99.3%
2020	46,174,914	35,599,877	1.007	45,755,192	99.1%
2021	43,369,304	43,515,208	1.007	53,265,212	122.8%
2022	47,508,691	47,588,771	1.000	55,089,951	116.0%
2023	54,322,915	57,274,722	1.000	63,145,381	116.2%
2024	68,714,443	82,677,466	1.000	86,811,339	126.3%
All Years	408,651,701	371,674,006		454,691,095	111.3%
2015 - 2022	285,614,343	231,721,819		304,734,376	106.7%
2018 - 2022	233,860,427	195,729,265		249,542,036	106.7%
2021 - 2024	213,915,352	231,056,166		258,311,882	120.8%
(7)	Projected 2025-2026 Undiscounted Loss Ratio (Selected Based on Col (6))				111.3%
(8)	Projected 2025-2026 Surcharges at Current Fee Level				68,714,443
(9)	Projected 2025-2026 Undiscounted Losses				76,455,929
(10)	Projected Loss Adjustment Expenses as a Percentage of Losses Paid				3.6%
(11)	Discount Factor at 3.5% Yield				0.838
(12)	Risk Margin Factor at 75% Confidence Level				1.083
(13)	Projected Office Expenses as a Percentage of Surcharges Collected				1.1%
(14)	Projected 2026-2027 Income Requirements @ 75%				76,322,653
(15)	Indicated Assessment Level Change on January 1, 2026				11.1%

Column / Row Note

- (2) Based on data provided by client; excludes deficit surcharge
- (3) Exhibit 5, Col (7)
- (4) Based on industry data
- (5) $[\text{Col (3)} \times \text{Col (4)}] \times [1 + \text{selected trend rate of 5.0\%}]^{\wedge} (2025 - \text{Col (1)})$
- (6) $\text{Col (5)} / \text{Col (2)}$
- (8) Most current surcharge
- (9) $\text{Row (7)} \times \text{Row (8)}$
- (10) From Exhibit 7
- (11) Based on data provided by client
- (12) Based on stochastic modeling using client data
- (13) From Exhibit 7
- (14) $[\text{Row (9)} \times [1 + \text{selected trend rate of 5.0\%}] \times [1 + \text{Row (10)}] \times \text{Row (11)} \times \text{Row (12)}] / [1 - \text{Row (13)}]$
- (15) $\text{Row (14)} / \text{Row (8)} - 1$

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Expense Analysis

Exhibit 7

Page 1

Loss Adjustment Expenses as a Percentage of Losses Paid

Calendar Year	NM Med Soc/ Medical Panel Expenses	Directors	Contracts and Consultants	Paid Losses
(1)	(2)	(3)	(4)	(5)
2020	401,706	44,422	413,385	33,473,168
2021	300,543	19,434	525,416	46,578,556
2022	283,967	0	1,165,086	36,285,592
2023	279,539	0	1,595,707	45,210,781
2024	274,270	0	1,553,397	68,638,933
Total	1,540,025	63,856	5,252,991	230,187,030

Loss Adjustment Expenses as a Percentage of Losses Paid

2020	1.2%	0.1%	1.2%	
2021	0.6%	0.0%	1.1%	
2022	0.8%	0.0%	3.2%	
2023	0.6%	0.0%	3.5%	
2024	0.4%	0.0%	2.3%	
Total	0.7%	0.0%	2.3%	3.0%

Selected Ratio of Expenses to Losses Paid

Average 2020 - 2024	0.7%	0.0%	2.3%	3.0%
Average 2021 - 2024	0.6%	0.0%	2.5%	3.2%
Average 2022 - 2024	0.6%	0.0%	3.0%	3.6%
Average 2023 - 2024	0.5%	0.0%	2.9%	3.4%
Selected				3.6%

Notes: (2) - (5) Based on data provided by client

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Expense Analysis

Exhibit 7

Page 2

Office Expenses as a Percentage of Surcharges collected

Calendar Year	IT Services	PCF Employee Services	Rent	Intra-Agency Transfer	Misc. & Prior Year	Participant Surcharges
(1)	(2)	(3)	(4)	(5)	(6)	(7)
2020	0	265,951	12,837	816,500	0	41,967,369
2021	36,043	175,356	17,852	(129,400)	0	28,467,389
2022	0	50,373	7,438	816,500	140,877	54,800,255
2023	0	42,172	0	816,500	91,502	74,707,553
2024	0	(18,546)	0	272,200	99,230	117,526,351
Total	36,043	515,306	38,127	2,592,300	331,609	317,468,917

Operating Expenses as a Percentage of Premiums

2020	0.0%	0.6%	0.0%	1.9%	0.0%	
2021	0.1%	0.6%	0.1%	-0.5%	0.0%	
2022	0.0%	0.1%	0.0%	1.5%	0.3%	
2023	0.0%	0.1%	0.0%	1.1%	0.1%	
2024	0.0%	0.0%	0.0%	0.2%	0.1%	
Total	0.0%	0.2%	0.0%	0.8%	0.1%	1.1%

Selected Ratio of Expenses to Premiums

Average 2020 - 2024	0.0%	0.3%	0.0%	0.9%	0.1%	1.3%
Average 2021 - 2024	0.0%	0.2%	0.0%	0.6%	0.1%	0.9%
Average 2022 - 2024	0.0%	0.0%	0.0%	0.9%	0.2%	1.1%
Average 2023 - 2024	0.0%	0.0%	0.0%	0.7%	0.1%	0.8%

Selected 1.1%

Notes: (2) - (7) Based on data provided by client

Appendix

APPENDIX	DESCRIPTION
1	Ind. Physicians & Surgeons - B-F and Expected Loss Ratio Methods
2	Ind. Physicians & Surgeons - Paid Loss Development Method
3	Ind. Physicians & Surgeons - Frequency and Severity Method
4	Ind. Physicians & Surgeons - Paid Claim Projection Based on B-F Method
5	Ind. Physicians & Surgeons - Paid Claim Projection Based on Frequency Method
6	Ind. Physicians & Surgeons - Paid Claim Development Method
7	Hospitals - B-F and Expected Loss Ratio Methods
8	Hospitals - Paid Loss Development Method
9	Historical Paid Loss Development - Combined
10	Historical Claim Count Development - Combined
11	Development of Classification Assignments
12	Surcharge Impact of Classification Assignments
13	Review of Classification Factors
14	Surcharge Impact of New Relativities by Allied Class
15	Entity Coverage Evaluation
16	Allocation of Estimated Ultimate & Outstanding Losses by Hospital

New Mexico Patients' Compensation Fund

Appendix 1

Reserves as of 12/31/2024

Page 1

Independent Physicians & Surgeons

Including Batch Claims

Bornhuetter-Ferguson Method

Accident Year	Practitioner Surcharges	Expected Loss Ratio	Paid Loss	Percentage of Ultimate Paid	Indicated Ultimate Losses
(1)	(2)	(3)	(4)	(5)	(6)
2000	8,238,309	120.0%	6,560,000	100.0%	6,560,000
2001	9,181,946	120.0%	9,261,652	100.0%	9,261,652
2002	9,421,675	120.0%	9,309,500	100.0%	9,309,500
2003	9,924,688	120.0%	6,596,189	100.0%	6,596,189
2004	9,283,270	120.0%	5,482,500	100.0%	5,482,500
2005	9,151,210	120.0%	9,776,657	100.0%	9,776,657
2006	9,067,465	120.0%	8,140,629	100.0%	8,140,629
2007	8,810,595	120.0%	19,005,969	100.0%	19,005,969
2008	9,696,249	120.0%	19,398,176	100.0%	19,398,176
2009	11,325,257	120.0%	11,967,704	100.0%	11,967,704
2010	10,410,307	120.0%	17,814,906	99.9%	17,827,386
2011	11,380,891	120.0%	19,354,469	99.9%	19,368,112
2012	9,765,990	120.0%	8,731,408	99.9%	8,743,116
2013	9,596,773	120.0%	7,450,000	99.4%	7,518,742
2014	10,065,996	120.0%	15,120,435	98.8%	15,264,150
2015	10,535,218	120.0%	8,602,477	97.8%	8,876,573
2016	9,039,070	120.0%	8,523,333	96.6%	8,894,686
2017	12,725,963	120.0%	23,722,500	95.8%	24,362,372
2018	9,835,929	120.0%	22,314,611	92.6%	23,191,585
2019	10,170,463	120.0%	18,868,878	66.1%	23,003,609
2020	10,236,009	120.0%	5,409,528	48.6%	11,720,803
2021	11,585,186	120.0%	1,182,167	23.2%	11,865,781
2022	15,302,205	120.0%	1,804,414	8.7%	18,562,805
2023	16,934,483	120.0%	112,500	2.1%	20,016,143
2024	16,935,434	120.0%	0	0.4%	20,249,867
Total	268,620,583		264,510,601		344,964,706
2010-24	174,519,918		159,011,626		239,465,731

Column Note

- (2), (4) Based on data provided by client
- (3) Appendix 1, Page 2, Col (5)
- (5) Appendix 9
- (6) $\text{Col (2)} \times \text{Col (3)} \times [1 - \text{Col (5)}] + \text{Col (4)}$

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Independent Physicians & Surgeons
Including Batch Claims
Expected Loss Ratio Method

Appendix 1

Page 2

Accident Year	Practitioner Surcharges	Indicated Ultimate Losses From Paid Loss Dev Method	Indicated Loss Ratio	Expected Loss Ratio	Indicated Ultimate Losses
(1)	(2)	(3)	(4)	(5)	(6)
2000	8,238,309	6,560,000	79.6%		9,885,971
2001	9,181,946	9,261,652	100.9%		11,018,335
2002	9,421,675	9,309,500	98.8%		11,306,010
2003	9,924,688	6,596,189	66.5%		11,909,625
2004	9,283,270	5,482,500	59.1%		11,139,924
2005	9,151,210	9,776,657	106.8%		10,981,452
2006	9,067,465	8,140,629	89.8%		10,880,958
2007	8,810,595	19,005,969	215.7%		10,572,714
2008	9,696,249	19,398,176	200.1%		11,635,499
2009	11,325,257	11,967,704	105.7%		13,590,309
2010	10,410,307	17,832,721	171.3%		12,492,369
2011	11,380,891	19,373,823	170.2%		13,657,069
2012	9,765,990	8,740,140	89.5%		11,719,188
2013	9,596,773	7,494,737	78.1%		11,516,128
2014	10,065,996	15,302,501	152.0%		12,079,195
2015	10,535,218	8,793,120	83.5%		12,642,261
2016	9,039,070	8,825,481	97.6%		10,846,883
2017	12,725,963	24,759,959	194.6%		15,271,156
2018	9,835,929	24,105,667	245.1%		11,803,115
2019	10,170,463	28,536,712	280.6%		12,204,556
2020	10,236,009	11,126,439	108.7%		12,283,211
2021	11,585,186	5,106,164	44.1%		13,902,223
2022	15,302,205	20,653,716	135.0%		18,362,646
2023	16,934,483	5,472,722	32.3%		20,321,380
2024	16,935,434	0	0.0%		20,322,521
Total	268,620,583	311,622,876	116.0%	120.0%	322,344,699
2000-17	177,620,872	216,621,457	122.0%		
2012-21	103,556,598	142,790,920	137.9%		

Column	Note
(2)	Based on data provided by client
(3)	Appendix 2, Col (5)
(4)	Col (3) / Col (2)
(5)	Judgment
(6)	Col (2) x Col (5)

New Mexico Patients' Compensation Fund

Appendix 2

Reserves as of 12/31/2024

Independent Physicians & Surgeons

Including Batch Claims

Paid Loss Development Method

Accident Year	Paid Losses	Month of Development	Cumulative Development Factor	Indicated Ultimate Losses
(1)	(2)	(3)	(4)	(5)
2000	6,560,000	300	1.000	6,560,000
2001	9,261,652	288	1.000	9,261,652
2002	9,309,500	276	1.000	9,309,500
2003	6,596,189	264	1.000	6,596,189
2004	5,482,500	252	1.000	5,482,500
2005	9,776,657	240	1.000	9,776,657
2006	8,140,629	228	1.000	8,140,629
2007	19,005,969	216	1.000	19,005,969
2008	19,398,176	204	1.000	19,398,176
2009	11,967,704	192	1.000	11,967,704
2010	17,814,906	180	1.001	17,832,721
2011	19,354,469	168	1.001	19,373,823
2012	8,731,408	156	1.001	8,740,140
2013	7,450,000	144	1.006	7,494,737
2014	15,120,435	132	1.012	15,302,501
2015	8,602,477	120	1.022	8,793,120
2016	8,523,333	108	1.035	8,825,481
2017	23,722,500	96	1.044	24,759,959
2018	22,314,611	84	1.080	24,105,667
2019	18,868,878	72	1.512	28,536,712
2020	5,409,528	60	2.057	11,126,439
2021	1,182,167	48	4.319	5,106,164
2022	1,804,414	36	11.446	20,653,716
2023	112,500	24	48.646	5,472,722
2024	0	12	279.717	0
Total	264,510,601			311,622,876

Column	Note
(2)	Based on data provided by client
(4)	Appendix 9
(5)	Col (2) x Col (4)

New Mexico Patients' Compensation Fund

Reserves as of 12/31/2024

Independent Physicians & Surgeons

Including Batch Claims

Frequency and Severity Method

Appendix 3

Page 1

Accident Year	Selected Ultimate Claims Closed with Payment	Selected Ultimate Severity	Indicated Ultimate Losses
(1)	(2)	(3)	(4)
2000	19	217,048	4,123,903
2001	32	227,900	7,292,797
2002	26	239,295	6,221,668
2003	26	251,260	6,532,751
2004	23	263,823	6,067,921
2005	33	277,014	9,141,454
2006	23	290,864	6,689,883
2007	61	305,408	18,629,869
2008	74	320,678	23,730,177
2009	38	336,712	12,795,055
2010	48	353,548	16,970,283
2011	32	371,225	11,879,198
2012	21	389,786	8,185,510
2013	15	409,276	6,139,133
2014	32	429,739	13,751,657
2015	14	451,226	6,317,167
2016	28	473,788	13,266,051
2017	46	497,477	22,883,939
2018	51	522,351	26,639,890
2019	60	548,468	32,908,099
2020	37	575,892	21,020,048
2021	35	604,686	20,861,678
2022	43	634,921	27,301,587
2023	42	666,667	28,000,000
2024	39	700,000	27,300,000
Total	897		384,649,718

Column	Note
(2)	Appendix 3, Page 3, Col (6)
(3)	Appendix 3, Page 2, Col (10)
(4)	Col (2) x Col (3)

New Mexico Patients' Compensation Fund

Appendix 3

Reserves as of 12/31/2024

Page 2

Independent Physicians & Surgeons

Including Batch Claims

Severity Trend for Paid Losses Excess of Retention

Accident Year	Paid Loss	Claims Closed With Payment	Paid Severity	Indicated Trend	R ²	Selected Trend	Trended Severity to 2024	Selected Severity	Detrended Severity
(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)	(9)	(10)
2000	6,560,000	19	345,263				1,113,508		217,048
2001	9,261,652	32	289,427				888,981		227,900
2002	9,309,500	26	358,058				1,047,412		239,295
2003	6,596,189	26	253,700				706,797		251,260
2004	5,482,500	23	238,370				632,465		263,823
2005	9,776,657	33	296,262				748,640		277,014
2006	8,140,629	23	353,940				851,800		290,864
2007	19,005,969	61	311,573				714,132		305,408
2008	19,398,176	74	262,138				572,213		320,678
2009	11,967,704	38	314,940				654,737		336,712
2010	17,814,906	48	371,144				734,839		353,548
2011	19,354,469	32	604,827				1,140,492		371,225
2012	8,731,408	21	415,781				746,684		389,786
2013	7,450,000	15	496,667				849,469		409,276
2014	15,120,435	32	472,514				769,675		429,739
2015	8,602,477	14	614,463				953,233		451,226
2016	8,523,333	27	315,679				466,402		473,788
2017	23,722,500	44	539,148				758,635		497,477
2018	22,314,611	47	474,779				636,249		522,351
2019	18,868,878	52	362,863				463,115		548,468
2020	5,409,528	23	235,197				285,883		575,892
2021	1,182,167	8	147,771				171,063		604,686
2022	1,804,414	10	180,441				198,937		634,921
2023	112,500	2	56,250				59,063		666,667
2024	0	0	0				0		700,000
Total	264,510,601	730	362,343				702,764		380,803
2008-20	187,278,425	467	401,024	0.2%	0.001	5.0%	667,929	700,000	389,708

Column	Note
(2), (3)	Based on data provided by client
(4)	Col (2) / Col (3)
(7)	Client data does not produce a good fit; trend factor selected based on industry data
(8)	Col (4) trended forward with selected trend in Col (7)
(10)	Selected severity in Col (9) detrended with selected trend in Col (7)

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Independent Physicians & Surgeons
Including Batch Claims
Closed With Payment Projection Summary

Appendix 3

Page 3

Accident Year	Claims Closed With Payment	Indicated Ultimate Claims Closed With Payment			Selected Ultimate Closed With Payment
		B-F Method	Frequency Method	Claim Development Method	
(1)	(2)	(3)	(4)	(5)	(6)
2000	19	19	47	19	19
2001	32	32	49	32	32
2002	26	26	49	26	26
2003	26	26	51	26	26
2004	23	23	48	23	23
2005	33	33	47	33	33
2006	23	23	47	23	23
2007	61	61	45	61	61
2008	74	74	46	74	74
2009	38	38	53	38	38
2010	48	48	46	48	48
2011	32	32	49	32	32
2012	21	21	42	21	21
2013	15	15	41	15	15
2014	32	33	42	32	32
2015	14	15	44	14	14
2016	27	28	38	28	28
2017	44	46	50	46	46
2018	47	50	35	51	51
2019	52	60	36	67	60
2020	23	38	35	41	37
2021	8	33	36	27	35
2022	10	47	43	78	43
2023	2	43	42	64	42
2024	0	39	39	0	39
Total	730	903	1,100	919	897

Column	Note
(2)	Based on data provided by client
(3)	Appendix 4, Col (5)
(4)	Appendix 5, Col (7)
(5)	Appendix 6, Col (5)
(6)	Judgmental selection based on Cols (3) - (5)

New Mexico Patients' Compensation Fund

Appendix 4

Reserves as of 12/31/2024

Independent Physicians & Surgeons

Including Batch Claims

Bornhuetter-Ferguson Method

Accident Year	Claims Closed With Payment	Frequency Mtd. Indicated Ultimate Claims Closed With Payment	Percent of Ultimate Closed With Payment	Indicated Ultimate Closed With Payment
(1)	(2)	(3)	(4)	(5)
2000	19	47	100.0%	19
2001	32	49	100.0%	32
2002	26	49	100.0%	26
2003	26	51	100.0%	26
2004	23	48	100.0%	23
2005	33	47	100.0%	33
2006	23	47	100.0%	23
2007	61	45	100.0%	61
2008	74	46	100.0%	74
2009	38	53	100.0%	38
2010	48	46	99.8%	48
2011	32	49	99.8%	32
2012	21	42	99.8%	21
2013	15	41	99.3%	15
2014	32	42	98.7%	33
2015	14	44	98.0%	15
2016	27	38	97.2%	28
2017	44	50	96.3%	46
2018	47	35	91.9%	50
2019	52	36	77.2%	60
2020	23	35	55.9%	38
2021	8	36	30.1%	33
2022	10	43	12.8%	47
2023	2	42	3.1%	43
2024	0	39	0.8%	39
Total	730	1,100		903

Column	Note
(2)	Based on data provided by client
(3)	Appendix 5, Col (7)
(4)	Appendix 10
(5)	Col (2) + Col (3) x [1 - Col (4)]

New Mexico Patients' Compensation Fund

Appendix 5

Reserves as of 12/31/2024

Independent Physicians & Surgeons

Including Batch Claims

Paid Claim Projection Based on Frequency Method

Accident Year	Claims Closed With Payment	Development Mtd. Indicated Ultimate Claims Closed With Payment	Practitioner Surcharges at Current Rate Level	Indicated Ultimate Claim Frequency Per \$1M in Surcharges	Selected Frequency	Indicated Ultimate Claims Closed With Payment
(1)	(2)	(3)	(4)	(5)	(6)	(7)
2000	19	19	23,558,922	0.81		47
2001	32	32	24,608,972	1.30		49
2002	26	26	24,418,334	1.06		49
2003	26	26	25,722,003	1.01		51
2004	23	23	24,059,628	0.96		48
2005	33	33	23,717,366	1.39		47
2006	23	23	23,500,322	0.98		47
2007	61	61	22,566,609	2.70		45
2008	74	74	23,201,342	3.19		46
2009	38	38	26,664,645	1.43		53
2010	48	48	22,944,469	2.09		46
2011	32	32	24,600,047	1.30		49
2012	21	21	21,088,315	1.00		42
2013	15	15	20,277,261	0.74		41
2014	32	32	21,083,210	1.52		42
2015	14	14	22,065,995	0.63		44
2016	27	28	18,880,982	1.48		38
2017	44	46	25,016,278	1.84		50
2018	47	51	17,611,775	2.90		35
2019	52	67	18,028,585	3.72		36
2020	23	41	17,535,889	2.34		35
2021	8	27	18,107,577	1.49		36
2022	10	78	21,317,508	3.66		43
2023	2	64	21,193,264	3.02		42
2024	0	0	19,267,686	0.00		39
Total	730	919	551,036,980	1.67	2.00	1,100
2012-20	275	315	181,588,289	1.73		
2014-20	239	279	140,222,713	1.99		
2016-20	193	233	97,073,509	2.40		

Column	Note
(2)	Appendix 6, Col (2)
(3)	Appendix 6, Col (5)
(4)	Based on data provided by client
(5)	Col (3) / Col (4) x 1,000,000
(6)	Judgmentally selected based on Col (5)
(7)	Col (4) x Col (6) / 1,000,000

New Mexico Patients' Compensation Fund

Appendix 6

Reserves as of 12/31/2024

Independent Physicians & Surgeons

Including Batch Claims

Closed With Payment Claim Development Method

Accident Year	Claims Closed With Payment	Month of Development	Cumulative Development Factor	Indicated Ultimate Claims Closed With Payment
(1)	(2)	(3)	(4)	(5)
2000	19	300	1.000	19
2001	32	288	1.000	32
2002	26	276	1.000	26
2003	26	264	1.000	26
2004	23	252	1.000	23
2005	33	240	1.000	33
2006	23	228	1.000	23
2007	61	216	1.000	61
2008	74	204	1.000	74
2009	38	192	1.000	38
2010	48	180	1.002	48
2011	32	168	1.002	32
2012	21	156	1.002	21
2013	15	144	1.007	15
2014	32	132	1.013	32
2015	14	120	1.020	14
2016	27	108	1.028	28
2017	44	96	1.039	46
2018	47	84	1.088	51
2019	52	72	1.295	67
2020	23	60	1.787	41
2021	8	48	3.325	27
2022	10	36	7.813	78
2023	2	24	32.033	64
2024	0	12	128.131	0
Total	730			919

Column	Note
(2)	Based on data provided by client
(4)	Appendix 10
(5)	Col (2) x Col (4)

New Mexico Patients' Compensation Fund

Reserves as of 12/31/2024

Hospitals

Bornhuetter-Ferguson Method

Appendix 7

Page 1

Accident Year	Hospital Surcharges	Expected Loss Ratio	Paid Loss	Percentage of Ultimate Paid	Indicated Ultimate Losses
(1)	(2)	(3)	(4)	(5)	(6)
2009	918,297	120.0%	2,075,000	100.0%	2,075,000
2010	1,680,228	120.0%	2,005,000	99.9%	2,007,014
2011	1,825,004	120.0%	2,547,500	99.9%	2,549,688
2012	1,817,812	120.0%	3,475,000	99.9%	3,477,179
2013	1,992,604	120.0%	2,607,237	99.4%	2,621,510
2014	2,146,331	120.0%	6,688,260	98.8%	6,718,904
2015	2,224,828	120.0%	5,624,980	97.8%	5,682,864
2016	6,374,245	120.0%	9,916,846	96.6%	10,178,720
2017	21,561,182	120.0%	19,016,636	95.8%	20,100,750
2018	31,292,438	120.0%	27,241,629	92.6%	30,031,669
2019	31,872,010	120.0%	19,264,470	66.1%	32,221,813
2020	31,731,360	120.0%	13,557,334	48.6%	33,122,121
2021	32,655,867	120.0%	10,699,825	23.2%	40,814,377
2022	37,653,051	120.0%	6,352,586	8.7%	47,588,771
2023	48,224,599	120.0%	0	2.1%	56,679,924
2024	68,897,888	120.0%	0	0.4%	82,381,890
Total	322,867,744		131,072,303		378,252,195

Column	Note
(2)	Based on data provided by client; excludes deficit surcharge
(3)	Appendix 7, Page 2, Col (5)
(4)	Based on data provided by client
(5)	Appendix 9
(6)	Col (2) x Col (3) x [1 - Col (5)] + Col (4)

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024

Appendix 7

Page 2

Hospitals

Expected Loss Ratio Method

Accident Year	Hospital Surcharges	Indicated Ultimate Losses From Paid Loss Dev Method	Indicated Loss Ratio	Expected Loss Ratio	Indicated Ultimate Losses
(1)	(2)	(3)	(4)	(5)	(6)
2009	918,297	2,075,000	226.0%		1,101,956
2010	1,680,228	2,007,005	119.4%		2,016,274
2011	1,825,004	2,550,048	139.7%		2,190,005
2012	1,817,812	3,478,475	191.4%		2,181,374
2013	1,992,604	2,622,894	131.6%		2,391,125
2014	2,146,331	6,768,794	315.4%		2,575,597
2015	2,224,828	5,749,638	258.4%		2,669,794
2016	6,374,245	10,268,394	161.1%		7,649,094
2017	21,561,182	19,848,293	92.1%		25,873,419
2018	31,292,438	29,428,145	94.0%		37,550,925
2019	31,872,010	29,134,993	91.4%		38,246,412
2020	31,731,360	27,885,027	87.9%		38,077,632
2021	32,655,867	46,216,039	141.5%		39,187,041
2022	37,653,051	72,713,068	193.1%		45,183,661
2023	48,224,599	0	0.0%		57,869,519
2024	68,897,888	0	0.0%		82,677,466
Total	322,867,744	260,745,812	80.8%	120.0%	387,441,293
2009-18	71,832,969	84,796,685	118.0%		
2009-21	168,092,207	188,032,744	111.9%		
2017-22	186,765,909	225,225,565	120.6%		

Column	Note
(2)	Based on data provided by client; excludes deficit surcharge
(3)	Appendix 8, Col (5)
(4)	Col (3) / Col (2)
(5)	Judgment
(6)	Col (2) x Col (5)

New Mexico Patients' Compensation Fund

Appendix 8

Reserves as of 12/31/2024

Hospitals

Paid Loss Development Method

Accident Year	Paid Losses	Month of Development	Cumulative Development Factor	Indicated Ultimate Losses
(1)	(2)	(3)	(4)	(5)
2009	2,075,000	192	1.000	2,075,000
2010	2,005,000	180	1.001	2,007,005
2011	2,547,500	168	1.001	2,550,048
2012	3,475,000	156	1.001	3,478,475
2013	2,607,237	144	1.006	2,622,894
2014	6,688,260	132	1.012	6,768,794
2015	5,624,980	120	1.022	5,749,638
2016	9,916,846	108	1.035	10,268,394
2017	19,016,636	96	1.044	19,848,293
2018	27,241,629	84	1.080	29,428,145
2019	19,264,470	72	1.512	29,134,993
2020	13,557,334	60	2.057	27,885,027
2021	10,699,825	48	4.319	46,216,039
2022	6,352,586	36	11.446	72,713,068
2023	0	24	48.646	0
2024	0	12	279.717	0
Total	131,072,303			260,745,812

Column	Note
(2)	Based on data provided by client
(4)	Appendix 9
(5)	Col (2) x Col (4)

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Historical Paid Loss Development
Paid Losses - Hospital & Practitioner Combined (Excluding Batch Claims)

Accident Year	Months of Development																					
	12	24	36	48	60	72	84	96	108	120	132	144	156	168	180	192	204	216	228	240	252	264
1995	0	0	0	0	0	2,520,000	2,920,000	2,995,000	2,995,000	2,995,000	2,995,000	4,045,000	4,045,000	4,045,000	4,045,000	4,045,000	4,045,000	4,045,000	4,045,000	4,045,000	4,045,000	4,045,000
1996	0	0	0	0	925,000	1,590,000	1,590,000	1,590,000	1,590,000	1,590,000	1,590,000	1,590,000	1,590,000	1,590,000	1,590,000	1,590,000	1,590,000	1,590,000	1,590,000	1,590,000	1,590,000	1,590,000
1997	0	0	0	2,060,000	4,360,000	5,162,000	5,462,000	5,462,000	5,462,000	5,462,000	5,462,000	5,462,000	5,462,000	5,462,000	5,462,000	5,462,000	5,462,000	5,462,000	5,462,000	5,462,000	5,462,000	5,462,000
1998	0	0	600,000	1,255,000	1,895,000	2,005,000	2,305,000	2,305,000	2,305,000	2,305,000	2,305,000	2,730,000	2,730,000	2,730,000	2,730,000	2,730,000	2,730,000	2,730,000	2,730,000	2,730,000	2,730,000	2,730,000
1999	0	125,000	993,000	1,530,500	2,437,000	3,462,000	4,887,000	5,187,000	5,187,000	5,282,000	5,282,000	5,284,209	5,285,956	5,285,956	5,285,956	5,285,956	5,285,956	5,285,956	5,285,956	5,285,956	5,285,956	5,285,956
2000	0	1,500,000	2,295,000	2,745,000	5,845,000	6,560,000	6,560,000	6,560,000	6,560,000	6,560,000	6,560,000	6,560,000	6,560,000	6,560,000	6,560,000	6,560,000	6,560,000	6,560,000	6,560,000	6,560,000	6,560,000	6,560,000
2001	125,000	745,000	2,332,152	3,282,152	6,024,152	8,226,652	9,226,652	9,261,652	9,261,652	9,261,652	9,261,652	9,261,652	9,261,652	9,261,652	9,261,652	9,261,652	9,261,652	9,261,652	9,261,652	9,261,652	9,261,652	9,261,652
2002		290,000	890,000	990,000	2,932,000	4,819,500	6,144,500	8,994,500	9,309,500	9,309,500	9,309,500	9,309,500	9,309,500	9,309,500	9,309,500	9,309,500	9,309,500	9,309,500	9,309,500	9,309,500	9,309,500	9,309,500
2003	0	275,000	1,950,000	2,997,500	4,137,500	5,032,500	5,707,500	6,196,189	6,596,189	6,596,189	6,596,189	6,596,189	6,596,189	6,596,189	6,596,189	6,596,189	6,596,189	6,596,189	6,596,189	6,596,189	6,596,189	6,596,189
2004	0	0	1,197,500	1,527,500	2,870,000	4,607,500	4,657,500	5,482,500	5,482,500	5,482,500	5,482,500	5,482,500	5,482,500	5,482,500	5,482,500	5,482,500	5,482,500	5,482,500	5,482,500	5,482,500	5,482,500	5,482,500
2005	300,000	575,000	1,035,000	1,410,000	4,911,086	6,873,180	7,741,254	8,341,254	8,791,254	8,791,254	8,791,254	8,791,254	8,791,254	8,791,254	8,791,254	8,791,254	8,791,254	8,791,254	8,791,254	8,791,254	8,791,254	8,791,254
2006	0	0	628,725	4,253,725	5,228,725	5,378,725	5,628,725	5,928,725	6,328,725	6,328,725	6,328,725	6,328,725	6,328,725	6,328,725	6,328,725	6,328,725	6,328,725	6,328,725	6,328,725	6,328,725	6,328,725	6,328,725
2007	0	0	1,250,000	4,937,000	7,887,000	12,027,000	12,677,000	13,124,500	13,124,500	13,124,500	13,124,500	13,124,500	13,124,500	13,124,500	13,124,500	13,124,500	13,124,500	13,124,500	13,124,500	13,124,500	13,124,500	13,124,500
2008	0	0	2,163,652	4,764,652	6,542,152	9,204,652	11,262,152	11,662,152	11,662,152	11,662,152	11,662,152	11,662,152	11,662,152	11,662,152	11,662,152	11,662,152	11,662,152	11,662,152	11,662,152	11,662,152	11,662,152	11,662,152
2009	0	495,000	2,868,567	3,368,567	4,203,567	8,242,342	8,242,342	8,367,342	8,367,342	8,367,342	10,067,342	10,067,342	10,067,342	10,067,342	10,067,342	10,067,342	10,067,342	10,067,342	10,067,342	10,067,342	10,067,342	10,067,342
2010	0	775,000	3,511,000	6,138,000	9,688,000	16,177,567	16,502,567	16,902,567	16,902,567	17,602,567	17,727,567	17,727,567	18,127,567	18,127,567	18,127,567	18,127,567	18,127,567	18,127,567	18,127,567	18,127,567	18,127,567	18,127,567
2011	0	1,365,000	1,965,000	4,793,000	9,990,312	17,266,228	19,398,728	21,013,728	21,013,728	21,866,969	21,866,969	21,866,969	21,866,969	21,866,969	21,866,969	21,866,969	21,866,969	21,866,969	21,866,969	21,866,969	21,866,969	21,866,969
2012	0	50,000	850,000	2,614,408	4,324,408	7,529,408	11,629,408	11,779,408	11,809,408	11,809,408	11,809,408	11,809,408	11,809,408	12,256,408	12,256,408	12,256,408	12,256,408	12,256,408	12,256,408	12,256,408	12,256,408	12,256,408
2013	0	450,000	750,000	875,000	4,575,000	6,407,148	9,507,237	9,507,237	9,507,237	9,507,237	9,507,237	9,507,237	9,507,237	10,057,237	10,057,237	10,057,237	10,057,237	10,057,237	10,057,237	10,057,237	10,057,237	10,057,237
2014	0	480,000	2,370,000	4,945,000	7,573,260	14,280,445	20,608,695	20,608,695	20,608,695	20,608,695	20,608,695	21,808,695	21,808,695	21,808,695	21,808,695	21,808,695	21,808,695	21,808,695	21,808,695	21,808,695	21,808,695	21,808,695
2015	0	0	1,112,868	1,977,868	4,402,868	5,465,368	10,508,363	11,639,980	12,089,980	12,089,980	12,089,980	14,227,457	14,227,457	14,227,457	14,227,457	14,227,457	14,227,457	14,227,457	14,227,457	14,227,457	14,227,457	14,227,457
2016	0	700,000	2,625,000	4,830,000	7,850,000	11,727,500	17,640,179	18,440,179	18,440,179	18,440,179	18,440,179	18,440,179	18,440,179	18,440,179	18,440,179	18,440,179	18,440,179	18,440,179	18,440,179	18,440,179	18,440,179	18,440,179
2017	0	675,000	4,015,000	12,447,184	29,142,497	34,480,149	42,089,136	42,739,136	42,739,136	42,739,136	42,739,136	42,739,136	42,739,136	42,739,136	42,739,136	42,739,136	42,739,136	42,739,136	42,739,136	42,739,136	42,739,136	42,739,136
2018	0	650,000	5,093,523	12,504,086	26,652,230	35,529,693	49,556,240	49,556,240	49,556,240	49,556,240	49,556,240	49,556,240	49,556,240	49,556,240	49,556,240	49,556,240	49,556,240	49,556,240	49,556,240	49,556,240	49,556,240	49,556,240
2019	0	1,270,000	4,156,000	10,361,000	21,939,929	38,133,348	38,133,348	38,133,348	38,133,348	38,133,348	38,133,348	38,133,348	38,133,348	38,133,348	38,133,348	38,133,348	38,133,348	38,133,348	38,133,348	38,133,348	38,133,348	38,133,348
2020	300,000	1,186,000	4,236,500	11,399,061	18,966,863	18,966,863	18,966,863	18,966,863	18,966,863	18,966,863	18,966,863	18,966,863	18,966,863	18,966,863	18,966,863	18,966,863	18,966,863	18,966,863	18,966,863	18,966,863	18,966,863	18,966,863
2021	0	0	3,272,000	11,881,991	11,881,991	11,881,991	11,881,991	11,881,991	11,881,991	11,881,991	11,881,991	11,881,991	11,881,991	11,881,991	11,881,991	11,881,991	11,881,991	11,881,991	11,881,991	11,881,991	11,881,991	11,881,991
2022	0	2,706,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000	8,157,000
2023	0	112,500	112,500	112,500	112,500	112,500	112,500	112,500	112,500	112,500	112,500	112,500	112,500	112,500	112,500	112,500	112,500	112,500	112,500	112,500	112,500	112,500
2024	0	0	0	0	0	0	0	0	0	0	0	0	0	0	0	0	0	0	0	0	0	0

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Historical Paid Loss Development
Paid Losses - Hospital & Practitioner Combined (Excluding Batch Claims)

Accident	Development Factors																					
Year	12-24	24-36	36-48	48-60	60-72	72-84	84-96	96-108	108-120	120-132	132-144	144-156	156-168	168-180	180-192	192-204	204-216	216-228	228-240	240-252	252-264	264- Ult.
1995						1.159	1.026	1.000	1.000	1.000	1.351	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
1996					1.719	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
1997				2.117	1.184	1.058	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
1998			2.092	1.510	1.058	1.150	1.000	1.000	1.000	1.000	1.184	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
1999		7.944	1.541	1.592	1.421	1.412	1.061	1.000	1.018	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2000		1.530	1.196	2.129	1.122	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2001	5.960	3.130	1.407	1.835	1.366	1.122	1.004	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2002	3.069	1.112	2.962	1.644	1.275	1.464	1.035	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2003		7.091	1.537	1.380	1.216	1.134	1.086	1.065	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2004			1.276	1.879	1.605	1.011	1.177	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2005	1.917	1.800	1.362	3.483	1.400	1.126	1.078	1.054	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000		
2006			6.766	1.229	1.029	1.046	1.053	1.067	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000			
2007			3.950	1.598	1.525	1.054	1.035	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000			
2008			2.202	1.373	1.407	1.224	1.036	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000			
2009		5.795	1.174	1.248	1.961	1.000	1.015	1.000	1.000	1.203	1.000	1.000	1.000	1.000	1.015							
2010		4.530	1.748	1.578	1.670	1.020	1.024	1.000	1.041	1.007	1.000	1.023	1.000	1.000								
2011		1.440	2.439	2.084	1.728	1.124	1.083	1.000	1.041	1.000	1.000	1.003	1.000									
2012		17.000	3.076	1.654	1.741	1.545	1.013	1.003	1.000	1.000	1.000	1.038										
2013		1.667	1.167	5.229	1.400	1.484	1.000	1.000	1.000	1.000	1.058											
2014		4.938	2.086	1.531	1.886	1.443	1.000	1.000	1.000	1.058												
2015			1.777	2.226	1.241	1.923	1.108	1.039	1.177													
2016		3.750	1.840	1.625	1.494	1.504	1.045	1.000														
2017		5.948	3.100	2.341	1.183	1.221	1.015															
2018		7.836	2.455	2.131	1.333	1.395																
2019		3.272	2.493	2.118	1.738																	
2020	3.953	3.572	2.691	1.664																		
2021			3.631																			
2022		3.014																				
2023																						
Avg	3.725	4.743	2.332	1.967	1.446	1.234	1.039	1.010	1.013	1.013	1.031	1.004	1.000	1.000	1.001	1.000	1.000	1.000	1.000	1.000	1.000	
W Avg	14.802	4.052	2.331	1.884	1.456	1.252	1.035	1.008	1.019	1.016	1.012	1.006	1.000	1.000	1.001	1.000	1.000	1.000	1.000	1.000	1.000	
5 yr W Avg		4.287	2.821	2.028	1.393	1.384	1.026	1.007	1.040	1.016	1.008	1.013	1.000	1.000	1.003	1.000	1.000	1.000	1.000	1.000	1.000	
7 yr W Avg		4.391	2.668	1.993	1.430	1.400	1.033	1.004	1.037	1.030	1.006	1.010	1.000	1.000	1.002	1.000	1.000	1.000	1.000	1.000	1.000	
5 yr Avg x Hi/Lo		4.264	2.761	1.971	1.356	1.447	1.020	1.001	1.014	1.002	1.000	1.009	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
7 yr Avg x Hi/Lo		4.296	2.516	1.953	1.441	1.474	1.031	1.001	1.016	1.013	1.000	1.005	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
Prior	5.750	4.500	2.550	2.150	1.350	1.420	1.040	1.012	1.010	1.008	1.004	1.003	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
Selected	5.750	4.250	2.650	2.100	1.360	1.400	1.035	1.008	1.013	1.010	1.006	1.005	1.000	1.000	1.001	1.000	1.000	1.000	1.000	1.000	1.000	
LDF to Ultimate	279.717	48.646	11.446	4.319	2.057	1.512	1.080	1.044	1.035	1.022	1.012	1.006	1.001	1.001	1.001	1.000	1.000	1.000	1.000	1.000	1.000	
% of Ultimate	0.4%	2.1%	8.7%	23.2%	48.6%	66.1%	92.6%	95.8%	96.6%	97.8%	98.8%	99.4%	99.9%	99.9%	99.9%	100.0%	100.0%	100.0%	100.0%	100.0%	100.0%	

New Mexico Patients' Compensation Fund

Reserves as of 12/31/2024

Historical Claim Count Development

Claims Closed With Payment - Hospital & Practitioner Combined (Excluding Batch Claims)

Appendix 10

Page 1

Accident Year	Months of Development																						
	12	24	36	48	60	72	84	96	108	120	132	144	156	168	180	192	204	216	228	240	252	264	
1995	0	0	0	0	0	3	4	5	5	5	5	6	6	6	6	6	6	6	6	6	6	6	
1996	0	0	0	0	4	9	9	9	9	9	9	9	9	9	9	9	9	9	9	9	9	9	
1997	0	0	0	6	10	13	14	14	14	14	14	14	14	14	14	14	14	14	14	14	14	14	
1998	0	0	2	6	8	10	12	12	12	12	12	13	13	13	13	13	13	13	13	13	13	13	
1999	0	1	3	6	11	15	18	19	19	20	20	20	20	20	20	20	20	20	20	20	20	20	
2000	0	3	7	10	16	19	19	19	19	19	19	19	19	19	19	19	19	19	19	19	19	19	
2001	1	5	10	14	22	28	31	32	32	32	32	32	32	32	32	32	32	32	32	32	32	32	
2002	1	2	3	10	15	21	25	26	26	26	26	26	26	26	26	26	26	26	26	26	26	26	
2003	0	1	7	12	18	20	22	25	26	26	26	26	26	26	26	26	26	26	26	26	26	26	
2004	0	0	6	8	14	20	21	23	23	23	23	23	23	23	23	23	23	23	23	23	23	23	
2005	1	2	4	7	16	23	26	27	29	29	29	29	29	29	29	29	29	29	29	29	29	29	
2006	0	0	2	7	11	13	15	16	17	17	17	17	17	17	17	17	17	17	17	17	17	17	
2007	0	0	2	13	20	25	27	29	29	29	29	29	29	29	29	29	29	29	29	29	29	29	
2008	0	0	6	15	21	27	33	34	34	34	34	34	34	34	34	34	34	34	34	34	34	34	
2009	0	2	7	9	13	20	20	21	21	21	22	22	22	22	22	22	23						
2010	0	2	9	16	24	38	40	41	41	42	43	43	44	44	44	44							
2011	0	2	5	11	21	29	34	38	38	39	39	39	40	40									
2012	0	1	3	8	12	19	22	23	24	24	24	24	25										
2013	0	1	2	3	10	15	18	18	18	18	18	19											
2014	0	1	6	12	17	24	26	26	26	26	27												
2015	0	0	2	5	10	13	18	20	21	22													
2016	0	2	7	14	21	29	32	34	34														
2017	0	2	9	18	36	46	59	60															
2018	0	1	12	26	53	69	81																
2019	0	2	9	23	44	71																	
2020	1	3	11	27	44																		
2021	0	0	9	27																			
2022	0	6	17																				
2023	0	1																					
2024	0																						

New Mexico Patients' Compensation Fund

Reserves as of 12/31/2024

Historical Claim Count Development

Claims Closed With Payment - Hospital & Practitioner Combined (Excluding Batch Claims)

Appendix 10

Page 2

Accident		Development Factors																					
Year	12-24	24-36	36-48	48-60	60-72	72-84	84-96	96-108	108-120	120-132	132-144	144-156	156-168	168-180	180-192	192-204	204-216	216-228	228-240	240-252	252-264	264- Ult.	
1995						1.333	1.250	1.000	1.000	1.000	1.200	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
1996					2.250	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
1997				1.667	1.300	1.077	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
1998			3.000	1.333	1.250	1.200	1.000	1.000	1.000	1.000	1.083	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
1999		3.000	2.000	1.833	1.364	1.200	1.056	1.000	1.053	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2000		2.333	1.429	1.600	1.188	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2001	5.000	2.000	1.400	1.571	1.273	1.107	1.032	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2002	2.000	1.500	3.333	1.500	1.400	1.190	1.040	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2003		7.000	1.714	1.500	1.111	1.100	1.136	1.040	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2004			1.333	1.750	1.429	1.050	1.095	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2005	2.000	2.000	1.750	2.286	1.438	1.130	1.038	1.074	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2006			3.500	1.571	1.182	1.154	1.067	1.063	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2007			6.500	1.538	1.250	1.080	1.074	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2008			2.500	1.400	1.286	1.222	1.030	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2009		3.500	1.286	1.444	1.538	1.000	1.050	1.000	1.000	1.048	1.000	1.000	1.000	1.000	1.045	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2010		4.500	1.778	1.500	1.583	1.053	1.025	1.000	1.024	1.024	1.000	1.023	1.000	1.000		1.000	1.000	1.000	1.000	1.000	1.000	1.000	
2011		2.500	2.200	1.909	1.381	1.172	1.118	1.000	1.026	1.000	1.000	1.026	1.000	1.000									
2012		3.000	2.667	1.500	1.583	1.158	1.045	1.043	1.000	1.000	1.000	1.042											
2013		2.000	1.500	3.333	1.500	1.200	1.000	1.000	1.000	1.000	1.056												
2014		6.000	2.000	1.417	1.412	1.083	1.000	1.000	1.000	1.038													
2015			2.500	2.000	1.300	1.385	1.111	1.050	1.048														
2016		3.500	2.000	1.500	1.381	1.103	1.063	1.000															
2017		4.500	2.000	2.000	1.278	1.283	1.017																
2018		12.000	2.167	2.038	1.302	1.174																	
2019		4.500	2.556	1.913	1.614																		
2020	3.000	3.667	2.455	1.630																			
2021			3.000																				
2022		2.833																					
2023																							
Avg	3.000	3.907	2.357	1.739	1.400	1.144	1.054	1.012	1.007	1.005	1.018	1.005	1.000	1.000	1.003	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
W Avg	10.000	4.103	2.189	1.717	1.385	1.142	1.048	1.012	1.008	1.006	1.007	1.007	1.000	1.000	1.003	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
5 yr W Avg		4.833	2.420	1.833	1.390	1.193	1.033	1.017	1.016	1.013	1.007	1.019	1.000	1.000	1.008	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
7 yr W Avg		4.625	2.373	1.800	1.398	1.191	1.048	1.010	1.016	1.015	1.005	1.014	1.000	1.000	1.006	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
5 yr Avg x Hi/Lo		4.222	2.392	1.848	1.328	1.187	1.026	1.014	1.009	1.008	1.000	1.016	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
7 yr Avg x Hi/Lo		4.433	2.335	1.809	1.379	1.184	1.047	1.009	1.010	1.012	1.000	1.010	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
Prior	4.000	4.100	2.250	1.860	1.350	1.200	1.055	1.008	1.007	1.005	1.004	1.003	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
Selected	4.000	4.100	2.350	1.860	1.380	1.190	1.048	1.010	1.008	1.007	1.006	1.005	1.000	1.000	1.002	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
LDF to Ultimate	128.131	32.033	7.813	3.325	1.787	1.295	1.088	1.039	1.028	1.020	1.013	1.007	1.002	1.002	1.002	1.000	1.000	1.000	1.000	1.000	1.000	1.000	
% of Ultimate	0.8%	3.1%	12.8%	30.1%	55.9%	77.2%	91.9%	96.3%	97.2%	98.0%	98.7%	99.3%	99.8%	99.8%	99.8%	100.0%	100.0%	100.0%	100.0%	100.0%	100.0%	100.0%	

New Mexico Patient's Compensation Fund

Development of Classification Assignments by Specialty - Review of Assigned Factors

Appendix 11

Page 1

NM Class		Current Class	Proposed Class	Current Rate Factors						Proposed Factor	Indicated Change
				Patient Compensation Funds			NM Primary Carriers				
				NM	IN	WI	TDC	MedPro			
10002	Aerospace Medicine / Medical Director	1	1	0.75	0.70	1.00	N/A	0.85	0.75	0.0%	
10003	Allergy/Immunology - No Surgery	1	1	0.75	0.70	1.00	0.47	0.43	0.75	0.0%	
10024	Dermatology - No Surgery	1	1	0.75	0.70	1.00	0.49	0.62	0.75	0.0%	
10026	Diabetes - No Surgery	1	1	0.75	1.00	1.00	N/A	N/A	0.75	0.0%	
10031	Endocrinology - No Surgery	1	1	0.75	1.00	1.00	0.62	0.49	0.75	0.0%	
10033	Family Practitioners - No Ob/ No Surgery	1	1	0.75	1.00	N/A	0.83	0.89	0.75	0.0%	
10034	Forensic Medicine / Legal Medicine	1	1	0.75	0.70	1.00	N/A	0.67	0.75	0.0%	
10039	General Practitioners - No Ob/ No Major Surgery	1	1	0.75	1.00	N/A	1.12	1.17	0.75	0.0%	
10041	General Practitioners or Family Physicians - No Surgery - No Ob	1	1	0.75	1.00	1.00	0.83	0.89	0.75	0.0%	
10042	General Preventive Medicine - No Surgery / No Ob	1	1	0.75	0.70	1.00	0.71	0.87	0.75	0.0%	
10047	Geriatrics - No Surgery	1	1	0.75	1.00	1.00	0.83	0.87	0.75	0.0%	
10050	Gynecology - No Surgery	1	1	0.75	1.00	1.00	N/A	0.83	0.75	0.0%	
10057	Hypnosis	1	1	0.75	N/A	1.00	N/A	0.58	0.75	0.0%	
10059	Infectious Diseases - No Surgery	1	1	0.75	1.00	1.00	0.63	1.17	0.75	0.0%	
10066	Laryngology - No Surgery	1	1	0.75	1.00	1.00	N/A	N/A	0.75	0.0%	
10068	Manipulator	1	1	0.75	N/A	1.00	N/A	N/A	0.75	0.0%	
10072	Neoplastic Diseases - No Surgery	1	1	0.75	1.00	1.00	0.91	0.89	0.75	0.0%	
10082	Nuclear Medicine - Excluding Radiation Therapy	1	1	0.75	1.00	1.00	0.93	0.74	0.75	0.0%	
10084	Nutrition	1	1	0.75	0.70	1.00	N/A	N/A	0.75	0.0%	
10087	Occupational Medicine	1	1	0.75	0.70	1.00	0.61	0.58	0.75	0.0%	
10092	Ophthalmology - No Surgery	1	1	0.75	0.70	1.00	0.49	0.58	0.75	0.0%	
10096	Otology - No Surgery	1	1	0.75	1.00	1.00	N/A	N/A	0.75	0.0%	
10099	Otorhinolaryngology - No Surgery	1	1	0.75	1.00	1.00	N/A	0.79	0.75	0.0%	
10101	Pathology - All Other	1	1	0.75	1.00	1.00	0.77	0.87	0.75	0.0%	
10103	Pathology - Blood Banking/Transfusion Medicine - No Surgery	1	1	0.75	1.00	1.00	0.77	0.87	0.75	0.0%	
10105	Pathology - Cytopathology - No Surgery	1	1	0.75	1.00	1.00	0.77	0.87	0.75	0.0%	
10107	Pathology - No Surgery	1	1	0.75	1.00	1.00	0.77	0.87	0.75	0.0%	
10111	Pharmacology - Clinical	1	1	0.75	0.70	1.00	N/A	0.83	0.75	0.0%	
10112	Physical Medicine and Rehabilitation - All Other	1	1	0.75	N/A	N/A	0.77	N/A	0.75	0.0%	
10114	Physical Medicine and Rehabilitation / Physiatry	1	1	0.75	1.00	1.00	1.09	0.83	0.75	0.0%	
10125	Preventive Medicine - No Surgery - Aerospace Medicine	1	1	0.75	N/A	N/A	N/A	0.85	0.75	0.0%	
10126	Preventive Medicine - No Surgery - Medical Toxicology	1	1	0.75	N/A	N/A	N/A	0.87	0.75	0.0%	
10127	Preventive Medicine - No Surgery - Occupational Medicine	1	1	0.75	N/A	N/A	0.61	0.58	0.75	0.0%	
10128	Preventive Medicine - No Surgery - Public/General Health Medicine	1	1	0.75	N/A	N/A	0.71	0.67	0.75	0.0%	
10129	Preventive Medicine - No Surgery - Undersea/Hyperbaric Medicine	1	1	0.75	N/A	N/A	N/A	0.87	0.75	0.0%	
10130	Psychiatry - Addiction Psychiatry	1	1	0.75	0.70	1.00	0.75	0.59	0.75	0.0%	
10131	Psychiatry - All Other	1	1	0.75	0.70	1.00	0.75	0.59	0.75	0.0%	
10132	Psychiatry - Child and Adolescent Psychiatry	1	1	0.75	0.70	1.00	0.75	0.59	0.75	0.0%	
10133	Psychiatry - Forensic Psychiatry	1	1	0.75	0.70	1.00	0.75	0.59	0.75	0.0%	
10134	Psychiatry - Geriatric Psychiatry	1	1	0.75	0.70	1.00	0.75	0.59	0.75	0.0%	
10135	Psychiatry - Including Child	1	1	0.75	0.70	1.00	0.75	0.59	0.75	0.0%	
10136	Psychoanalysis	1	1	0.75	0.70	1.00	0.75	0.59	0.75	0.0%	
10137	Psychosomatic Medicine	1	1	0.75	0.70	1.00	0.75	0.59	0.75	0.0%	
10138	Public Health	1	1	0.75	0.70	1.00	N/A	0.67	0.75	0.0%	
10149	Rheumatology - No Surgery	1	1	0.75	1.00	1.00	0.63	0.58	0.75	0.0%	
10151	Rhinology - No Surgery	1	1	0.75	1.00	1.00	N/A	0.79	0.75	0.0%	
10156	Shock Therapy - by Employed Physicians or Surgeons Involved with Major Surgery	1	1	0.75	N/A	4.00	N/A	N/A	0.75	0.0%	
10155	Shock Therapy - by Insured Physicians or Surgeons Involved with Major Surgery	1	1	0.75	N/A	1.00	N/A	N/A	0.75	0.0%	
10160	Teaching Physicians - No Surgery	1	1	0.75	N/A	N/A	N/A	N/A	0.75	0.0%	
10012	Cardiovascular Disease - No Surgery	2	2	1.00	1.00	1.00	0.81	1.33	1.00	0.0%	
10027	Discograms / Myelography / Pneumoencephalography	2	2	1.00	N/A	1.80	N/A	N/A	1.00	0.0%	
10055	Hematology - No Surgery	2	2	1.00	1.00	1.00	0.99	0.89	1.00	0.0%	
10062	Internal Medicine - No Surgery	2	2	1.00	1.00	1.00	1.00	1.00	1.00	0.0%	
10063	Laparoscopy (Peritonoscopy)	2	2	1.00	N/A	1.80	N/A	N/A	1.00	0.0%	
10069	Needle Biopsy	2	2	1.00	N/A	1.80	N/A	N/A	1.00	0.0%	
10076	Nephrology - No Surgery	2	2	1.00	1.00	1.00	0.60	0.91	1.00	0.0%	
10089	Oncology - No Surgery	2	2	1.00	N/A	1.00	0.91	N/A	1.00	0.0%	
10091	Ophthalmology - Minor Surgery	2	2	1.00	1.30	1.80	0.98	0.88	1.00	0.0%	
10110	Pediatrics - No Surgery	2	2	1.00	1.00	1.00	0.85	0.71	1.00	0.0%	
10140	Radiation Therapy - by Employed Physicians or Surgeons Involved with Major Surgery	2	2	1.00	1.70	4.00	0.68	0.91	1.00	0.0%	
10141	Radiation Therapy - by Insured Physicians or Surgeons Involved with Major Surgery	2	2	1.00	N/A	1.80	0.68	0.91	1.00	0.0%	
10147	Radiology - Therapeutic - No Surgery	2	2	1.00	N/A	N/A	0.68	0.91	1.00	0.0%	
10154	Shock Therapy	2	2	1.00	1.30	1.00	N/A	N/A	1.00	0.0%	
10158	Sports Medicine - No Surgery	2	2	1.00	N/A	N/A	N/A	N/A	1.00	0.0%	
10159	Teaching Physicians - Minor Surgery	2	2	1.00	N/A	N/A	N/A	N/A	1.00	0.0%	
10167	Urology - No Surgery	2	2	1.00	N/A	1.00	2.09	N/A	1.00	0.0%	
10001	Acupuncture - Other than Acupuncture Anesthesia	3	3	1.20	N/A	1.80	N/A	1.55	1.20	0.0%	
10007	Anesthesiology - Pain Management	3	3	1.20	N/A	1.80	N/A	1.17	1.20	0.0%	
	Certified Nurse Midwife	3	3	1.20	N/A	N/A	N/A	N/A	1.20	0.0%	
10018	Colonoscopy/ERCP/Pneumatic or Mechanical Esophageal Dilation	3	3	1.20	N/A	1.80	N/A	N/A	1.20	0.0%	
10020	Dermatology - All Other	3	3	1.20	N/A	N/A	1.30	0.87	1.20	0.0%	
10021	Dermatology - Clinical and Dermatological Immunology	3	3	1.20	N/A	N/A	1.30	1.26	1.20	0.0%	
10022	Dermatology - Dermatopathology	3	3	1.20	N/A	1.80	1.30	1.82	1.20	0.0%	
10023	Dermatology - including X-Ray Therapy / Radiation Therapy	3	3	1.20	1.30	1.80	1.30	0.87	1.20	0.0%	
10025	Diabetes - Minor Surgery	3	3	1.20	1.70	1.80	N/A	N/A	1.20	0.0%	
10030	Endocrinology - Minor Surgery	3	3	1.20	1.70	1.80	0.62	1.38	1.20	0.0%	
10036	Gastroenterology - No Surgery	3	3	1.20	1.00	1.00	1.42	1.39	1.20	0.0%	
10040	General Practitioners or Family Physicians - Minor Surgery - No Ob	3	3	1.20	1.70	1.80	1.12	1.17	1.20	0.0%	
10046	Geriatrics - Minor Surgery	3	3	1.20	1.70	1.80	N/A	1.05	1.20	0.0%	
10054	Hematology - Minor Surgery	3	3	1.20	1.70	1.80	0.99	1.38	1.20	0.0%	
10056	Hospitalism	3	3	1.20	N/A	1.80	1.48	N/A	1.20	0.0%	
10058	Infectious Diseases - Minor Surgery	3	3	1.20	1.70	1.80	0.63	1.38	1.20	0.0%	
10065	Laryngology - Minor Surgery	3	3	1.20	1.70	1.80	N/A	N/A	1.20	0.0%	
10071	Neoplastic Diseases - Minor Surgery	3	3	1.20	1.70	1.80	N/A	N/A	1.20	0.0%	

New Mexico Patient's Compensation Fund

Development of Classification Assignments by Specialty - Review of Assigned Factors

Appendix 11
Page 2

NM Class		Current Rate Factors										Proposed	Indicated
		Current		Proposed		Patient Compensation Funds			NM Primary Carriers				
						NM	IN	WI	TDC	MedPro	Factor		
Code	Specialty	Class	Class										
10078	Neurology - Including Child - No Surgery	3	3	1.20	1.30	1.00	1.24	1.35	1.20	1.20	0.0%		
10079	Neurology - Including Child - No Surgery - All Other	3	3	1.20	N/A	N/A	1.24	1.35	1.20	1.20	0.0%		
10080	Neurology - Including Child - No Surgery - Pain Management	3	3	1.20	N/A	1.80	1.24	1.26	1.20	1.20	0.0%		
10093	Ophthalmology Surgery	3	3	1.20	1.70	1.80	1.08	0.95	1.20	1.20	0.0%		
10095	Otology - Minor Surgery	3	3	1.20	1.70	1.80	N/A	N/A	1.20	1.20	0.0%		
10102	Pathology - Blood Banking/Transfusion Medicine - Minor Surgery	3	3	1.20	N/A	N/A	0.77	1.38	1.20	1.20	0.0%		
10104	Pathology - Cytopathology - Minor Surgery	3	3	1.20	N/A	N/A	0.77	1.38	1.20	1.20	0.0%		
10106	Pathology - Minor Surgery	3	3	1.20	1.30	1.80	0.77	1.38	1.20	1.20	0.0%		
10109	Pediatrics - Minor Surgery	3	3	1.20	1.70	1.80	0.85	1.17	1.20	1.20	0.0%		
10113	Physical Medicine and Rehabilitation - Pain Management	3	3	1.20	N/A	1.00	1.78	1.26	1.20	1.20	0.0%		
10115	Physicians - Minor Surgery - No Ob	3	3	1.20	1.70	1.80	N/A	1.38	1.20	1.20	0.0%		
10124	Podiatrists/Chiropodists - No Surgery	3	3	1.20	0.93	N/A	0.53	N/A	1.20	1.20	0.0%		
10139	Pulmonary Diseases - No Surgery	3	3	1.20	1.00	1.00	1.01	1.58	1.20	1.20	0.0%		
10144	Radiology - Diagnostic - No Surgery	3	3	1.20	1.30	1.00	1.42	1.70	1.20	1.20	0.0%		
10150	Rhinology - Minor Surgery	3	3	1.20	1.70	1.80	N/A	1.26	1.20	1.20	0.0%		
10153	Sclerotherapy	3	3	1.20	N/A	N/A	N/A	1.17	1.20	1.20	0.0%		
10164	Urgent Care - No Surgery - No Ob	3	3	1.20	1.00	1.00	N/A	1.17	1.20	1.20	0.0%		
10009	Broncho-Esophagology	4A	4A	1.50	2.00	1.80	N/A	N/A	1.50	1.50	0.0%		
10035	Gastroenterology - Minor Surgery	4A	4A	1.50	1.70	1.80	1.42	1.48	1.50	1.50	0.0%		
10067	Lymphangiography / Phlebography	4A	4A	1.50	N/A	1.80	N/A	1.17	1.50	1.50	0.0%		
10157	Sports Medicine - Minor Surgery	4A	4A	1.50	N/A	N/A	N/A	N/A	1.50	1.50	0.0%		
10166	Urology - Minor Surgery	4A	4A	1.50	N/A	1.00	2.09	1.38	1.50	1.50	0.0%		
10008	Angiography / Arteriography / Catheterization	4	4	1.80	1.70	1.80	N/A	1.92	1.80	1.80	0.0%		
10011	Cardiovascular Disease - Minor Surgery	4	4	1.80	1.70	1.80	N/A	1.78	1.80	1.80	0.0%		
10019	Cryosurgery	4	4	1.80	N/A	N/A	N/A	N/A	1.80	1.80	0.0%		
10049	Gynecology - Minor Surgery (including 1st trimester abortions)	4	4	1.80	2.00	1.80	2.45	1.48	1.80	1.80	0.0%		
10060	Intensive Care Medicine	4	4	1.80	1.70	1.80	N/A	1.62	1.80	1.80	0.0%		
10061	Internal Medicine - Minor Surgery	4	4	1.80	1.70	1.80	1.05	1.39	1.80	1.80	0.0%		
10070	Neonatal/Perinatal Medicine	4	4	1.80	N/A	N/A	2.51	1.21	1.80	1.80	0.0%		
10074	Nephrology - Including Child - Minor Surgery	4	4	1.80	1.70	1.80	N/A	1.45	1.80	1.80	0.0%		
10075	Nephrology - Minor Surgery	4	4	1.80	1.70	1.80	N/A	1.26	1.80	1.80	0.0%		
10098	Otorhinolaryngology - Minor Surgery	4	4	1.80	1.70	1.80	N/A	1.26	1.80	1.80	0.0%		
10148	Radiopaque Dye Injections	4	4	1.80	N/A	1.00	N/A	1.70	1.80	1.80	0.0%		
10044	General/Family Practitioners - No Major Surgery - < 40 Non-High-Risk Deliveries Yearly	5A	5A	1.70	1.70	N/A	2.20	1.73	1.70	1.70	0.0%		
10088	Oncology - Minor Surgery	5A	5A	1.70	N/A	1.80	0.91	1.38	1.70	1.70	0.0%		
10142	Radiation Therapy / Lasers - Used in Therapy	5A	5A	1.70	1.30	1.80	0.68	0.91	1.70	1.70	0.0%		
10146	Radiology - Therapeutic - Minor Surgery	5A	5A	1.70	N/A	N/A	0.68	0.91	1.70	1.70	0.0%		
10029	Emergency Medicine - No Major Surgery	5	5	2.20	2.75	1.80	1.99	2.70	2.20	2.20	0.0%		
10038	General Practice or Family Practice Surgery	5	5	2.20	2.00	1.80	1.64	1.63	2.20	2.20	0.0%		
10045	General/Family Practitioners - No Major Surgery - High-Risk or > 40 Deliveries Yearly	5	5	2.20	1.70	N/A	2.20	1.17	2.20	2.20	0.0%		
10143	Radiology - Diagnostic - Minor Surgery	5	5	2.20	1.30	1.80	2.89	2.01	2.20	2.20	0.0%		
10145	Radiology - Interventional	5	5	2.20	N/A	N/A	2.89	2.01	2.20	2.20	0.0%		
10165	Urological Surgery	5	5	2.20	2.00	1.80	2.09	2.09	2.20	2.20	0.0%		
10017	Colon and Rectal Surgery	6	6	2.60	2.00	1.80	3.05	2.79	2.60	2.60	0.0%		
10037	Gastroenterology Surgery	6	6	2.60	2.75	1.80	1.42	3.73	2.60	2.60	0.0%		
10052	Hand Surgery	6	6	2.60	4.25	4.00	1.61	1.92	2.60	2.60	0.0%		
10100	Otorhinolaryngology Surgery	6	6	2.60	2.75	4.00	1.96	1.71	2.60	2.60	0.0%		
10004	Anesthesiology	7A	7A	3.00	1.70	1.80	1.31	1.22	3.00	3.00	0.0%		
10005	Anesthesiology - All Other	7A	7A	3.00	1.70	1.80	1.31	1.22	3.00	3.00	0.0%		
10006	Anesthesiology - Critical Care Medicine	7A	7A	3.00	1.70	1.80	1.31	1.22	3.00	3.00	0.0%		
10028	Emergency Medicine - Including Major Surgery	7A	7A	3.00	4.25	4.00	1.99	3.73	3.00	3.00	0.0%		
10053	Head and Neck Surgery	7A	7A	3.00	4.25	4.00	4.32	3.73	3.00	3.00	0.0%		
10064	Laryngology Surgery	7A	7A	3.00	2.75	4.00	4.32	3.73	3.00	3.00	0.0%		
10073	Neoplastic Surgery	7A	7A	3.00	2.75	1.80	4.32	3.73	3.00	3.00	0.0%		
10077	Nephrology Surgery	7A	7A	3.00	2.00	1.80	4.32	3.73	3.00	3.00	0.0%		
10097	Otology Surgery	7A	7A	3.00	2.75	4.00	4.32	3.73	3.00	3.00	0.0%		
10152	Rhinology Surgery	7A	7A	3.00	2.75	4.00	4.32	1.71	3.00	3.00	0.0%		
10161	Teaching Physicians or Surgeons - Major Surgery	7A	7A	3.00	N/A	N/A	N/A	N/A	3.00	3.00	0.0%		
10122	Podiatrists - Surgery	7	7	3.50	1.45	4.25	1.85	N/A	3.50	3.50	0.0%		
10010	Cardiac Surgery	8	8	4.75	6.00	4.00	3.86	3.73	4.75	4.75	0.0%		
10048	Geriatrics Surgery	8	8	4.75	2.75	1.80	4.32	1.55	4.75	4.75	0.0%		
10051	Gynecology Surgery	8	8	4.75	6.00	4.00	1.69	2.23	4.75	4.75	0.0%		
10086	Obstetrics Surgery (c-sections only)	8	8	4.75	7.50	6.60	4.43	4.38	4.75	4.75	0.0%		
10090	Oncology Surgery	8	8	4.75	N/A	N/A	4.32	3.73	4.75	4.75	0.0%		
10108	Pediatric Surgery	8	8	4.75	N/A	4.00	4.32	N/A	4.75	4.75	0.0%		
10120	Plastic Surgery	8	8	4.75	4.25	4.00	2.34	1.92	4.75	4.75	0.0%		
10121	Plastic-otorhino-laryngology Surgery	8	8	4.75	2.75	4.00	2.45	1.92	4.75	4.75	0.0%		
10000	Abdominal Surgery	9	9	5.75	4.25	4.00	4.32	3.73	5.75	5.75	0.0%		
10013	Cardiovascular Disease Surgery	9	9	5.75	6.00	4.00	1.33	3.73	5.75	5.75	0.0%		
10032	Endocrinology Surgery	9	9	5.75	2.75	1.80	4.32	3.73	5.75	5.75	0.0%		
10043	General Surgery	9	9	5.75	4.25	4.00	4.32	3.73	5.75	5.75	0.0%		
10094	Orthopedic Surgery	9	9	5.75	6.00	4.00	2.58	3.36	5.75	5.75	0.0%		
10162	Thoracic Surgery	9	9	5.75	6.00	4.00	3.86	3.73	5.75	5.75	0.0%		
10163	Traumatic Surgery	9	9	5.75	6.00	4.00	4.32	3.92	5.75	5.75	0.0%		
10168	Vascular Surgery	9	9	5.75	6.00	4.00	4.32	3.92	5.75	5.75	0.0%		
10081	Neurology Surgery - Including Child	10	10	6.50	8.50	6.60	7.24	5.65	6.50	6.50	0.0%		
10085	Obstetrics Surgery / Gynecology Surgery	10	10	6.50	7.50	6.60	3.87	4.38	6.50	6.50	0.0%		

New Mexico Patient's Compensation Fund

Surcharge Impact of Classification Assignments

Appendix 12

Page 1

NM Class		Current	Proposed		Current	Proposed	Proposed	Indicated	% of
Code	Specialty	Class	Class	Exposures	Rate	Rate	Factor	Surcharge Impact	Surcharge Impact
10002	Aerospace Medicine / Medical Director	1	1	1	\$5,171	\$5,171	0.75	\$0	0.0%
10003	Allergy/Immunology - No Surgery	1	1	12	5,171	5,171	0.75	0	0.0%
10024	Dermatology - No Surgery	1	1	40	5,171	5,171	0.75	0	0.0%
10026	Diabetes - No Surgery	1	1	0	5,171	5,171	0.75	0	0.0%
10031	Endocrinology - No Surgery	1	1	13	5,171	5,171	0.75	0	0.0%
10033	Family Practitioners - No Ob/ No Surgery	1	1	0	5,171	5,171	0.75	0	0.0%
10034	Forensic Medicine / Legal Medicine	1	1	0	5,171	5,171	0.75	0	0.0%
10039	General Practitioners - No Ob/ No Major Surgery	1	1	0	5,171	5,171	0.75	0	0.0%
10041	General Practitioners or Family Physicians - No Surgery - No Ob	1	1	370	5,171	5,171	0.75	0	0.0%
10042	General Preventive Medicine - No Surgery / No Ob	1	1	3	5,171	5,171	0.75	0	0.0%
10047	Geriatrics - No Surgery	1	1	5	5,171	5,171	0.75	0	0.0%
10050	Gynecology - No Surgery	1	1	5	5,171	5,171	0.75	0	0.0%
10057	Hypnosis	1	1	0	5,171	5,171	0.75	0	0.0%
10059	Infectious Diseases - No Surgery	1	1	12	5,171	5,171	0.75	0	0.0%
10066	Laryngology - No Surgery	1	1	0	5,171	5,171	0.75	0	0.0%
10068	Manipulator	1	1	0	5,171	5,171	0.75	0	0.0%
10072	Neoplastic Diseases - No Surgery	1	1	0	5,171	5,171	0.75	0	0.0%
10082	Nuclear Medicine - Excluding Radiation Therapy	1	1	1	5,171	5,171	0.75	0	0.0%
10084	Nutrition	1	1	0	5,171	5,171	0.75	0	0.0%
10087	Occupational Medicine	1	1	1	5,171	5,171	0.75	0	0.0%
10092	Ophthalmology - No Surgery	1	1	8	5,171	5,171	0.75	0	0.0%
10096	Otology - No Surgery	1	1	0	5,171	5,171	0.75	0	0.0%
10099	Otorhinolaryngology - No Surgery	1	1	0	5,171	5,171	0.75	0	0.0%
10101	Pathology - All Other	1	1	44	5,171	5,171	0.75	0	0.0%
10103	Pathology - Blood Banking/Transfusion Medicine - No Surgery	1	1	0	5,171	5,171	0.75	0	0.0%
10105	Pathology - Cytopathology - No Surgery	1	1	0	5,171	5,171	0.75	0	0.0%
10107	Pathology - No Surgery	1	1	7	5,171	5,171	0.75	0	0.0%
10111	Pharmacology - Clinical	1	1	0	5,171	5,171	0.75	0	0.0%
10112	Physical Medicine and Rehabilitation - All Other	1	1	5	5,171	5,171	0.75	0	0.0%
10114	Physical Medicine and Rehabilitation / Physiatry	1	1	18	5,171	5,171	0.75	0	0.0%
10125	Preventive Medicine - No Surgery - Aerospace Medicine	1	1	0	5,171	5,171	0.75	0	0.0%
10126	Preventive Medicine - No Surgery - Medical Toxicology	1	1	0	5,171	5,171	0.75	0	0.0%
10127	Preventive Medicine - No Surgery - Occupational Medicine	1	1	6	5,171	5,171	0.75	0	0.0%
10128	Preventive Medicine - No Surgery - Public/General Health Medicine	1	1	0	5,171	5,171	0.75	0	0.0%
10129	Preventive Medicine - No Surgery - Undersea/Hyperbaric Medicine	1	1	0	5,171	5,171	0.75	0	0.0%
10130	Psychiatry - Addiction Psychiatry	1	1	1	5,171	5,171	0.75	0	0.0%
10131	Psychiatry - All Other	1	1	11	5,171	5,171	0.75	0	0.0%
10132	Psychiatry - Child and Adolescent Psychiatry	1	1	8	5,171	5,171	0.75	0	0.0%
10133	Psychiatry - Forensic Psychiatry	1	1	0	5,171	5,171	0.75	0	0.0%
10134	Psychiatry - Geriatric Psychiatry	1	1	0	5,171	5,171	0.75	0	0.0%
10135	Psychiatry - Including Child	1	1	55	5,171	5,171	0.75	0	0.0%
10136	Psychoanalysis	1	1	1	5,171	5,171	0.75	0	0.0%
10137	Psychosomatic Medicine	1	1	0	5,171	5,171	0.75	0	0.0%
10138	Public Health	1	1	0	5,171	5,171	0.75	0	0.0%
10149	Rheumatology - No Surgery	1	1	26	5,171	5,171	0.75	0	0.0%
10151	Rhinology - No Surgery	1	1	0	5,171	5,171	0.75	0	0.0%
10156	Shock Therapy - by Employed Physicians or Surgeons Involved with Major Surgery	1	1	0	5,171	5,171	0.75	0	0.0%
10155	Shock Therapy - by Insured Physicians or Surgeons Involved with Major Surgery	1	1	0	5,171	5,171	0.75	0	0.0%
10160	Teaching Physicians - No Surgery	1	1	2	5,171	5,171	0.75	0	0.0%
10012	Cardiovascular Disease - No Surgery	2	2	40	6,894	6,894	1.00	0	0.0%
10027	Discograms / Myelography / Pneumoencephalography	2	2	0	6,894	6,894	1.00	0	0.0%
10055	Hematology - No Surgery	2	2	9	6,894	6,894	1.00	0	0.0%
10062	Internal Medicine - No Surgery	2	2	271	6,894	6,894	1.00	0	0.0%
10063	Laparoscopy (Peritonescopy)	2	2	0	6,894	6,894	1.00	0	0.0%
10069	Needle Biopsy	2	2	0	6,894	6,894	1.00	0	0.0%
10076	Nephrology - No Surgery	2	2	38	6,894	6,894	1.00	0	0.0%
10089	Oncology - No Surgery	2	2	29	6,894	6,894	1.00	0	0.0%
10091	Ophthalmology - Minor Surgery	2	2	3	6,894	6,894	1.00	0	0.0%
10110	Pediatrics - No Surgery	2	2	134	6,894	6,894	1.00	0	0.0%
10140	Radiation Therapy - by Employed Physicians or Surgeons Involved with Major Surgery	2	2	6	6,894	6,894	1.00	0	0.0%
10141	Radiation Therapy - by Insured Physicians or Surgeons Involved with Major Surgery	2	2	0	6,894	6,894	1.00	0	0.0%
10147	Radiology - Therapeutic - No Surgery	2	2	1	6,894	6,894	1.00	0	0.0%
10154	Shock Therapy	2	2	0	6,894	6,894	1.00	0	0.0%
10158	Sports Medicine - No Surgery	2	2	0	6,894	6,894	1.00	0	0.0%
10159	Teaching Physicians - Minor Surgery	2	2	0	6,894	6,894	1.00	0	0.0%
10167	Urology - No Surgery	2	2	0	6,894	6,894	1.00	0	0.0%
10001	Acupuncture - Other than Acupuncture Anesthesia	3	3	0	8,272	8,272	1.20	0	0.0%
10007	Anesthesiology - Pain Management	3	3	21	8,272	8,272	1.20	0	0.0%
	Certified Nurse Midwife	3	3	80	8,272	8,272	1.20	0	0.0%
10018	Colonoscopy/ERCP/Pneumatic or Mechanical Esophageal Dilation	3	3	0	8,272	8,272	1.20	0	0.0%
10020	Dermatology - All Other	3	3	8	8,272	8,272	1.20	0	0.0%
10021	Dermatology - Clinical and Dermatological Immunology	3	3	0	8,272	8,272	1.20	0	0.0%
10022	Dermatology - Dermatopathology	3	3	0	8,272	8,272	1.20	0	0.0%
10023	Dermatology - including X-Ray Therapy / Radiation Therapy	3	3	3	8,272	8,272	1.20	0	0.0%
10025	Diabetes - Minor Surgery	3	3	0	8,272	8,272	1.20	0	0.0%
10030	Endocrinology - Minor Surgery	3	3	10	8,272	8,272	1.20	0	0.0%
10036	Gastroenterology - No Surgery	3	3	4	8,272	8,272	1.20	0	0.0%
10040	General Practitioners or Family Physicians - Minor Surgery - No Ob	3	3	122	8,272	8,272	1.20	0	0.0%
10046	Geriatrics - Minor Surgery	3	3	0	8,272	8,272	1.20	0	0.0%
10054	Hematology - Minor Surgery	3	3	13	8,272	8,272	1.20	0	0.0%
10056	Hospitalism	3	3	309	8,272	8,272	1.20	0	0.0%
10058	Infectious Diseases - Minor Surgery	3	3	0	8,272	8,272	1.20	0	0.0%
10065	Laryngology - Minor Surgery	3	3	0	8,272	8,272	1.20	0	0.0%
10071	Neoplastic Diseases - Minor Surgery	3	3	0	8,272	8,272	1.20	0	0.0%

New Mexico Patient's Compensation Fund

Surcharge Impact of Classification Assignments

NM Class		Current	Proposed		Current	Proposed	Proposed	Indicated	% of
<u>Code</u>	<u>Specialty</u>	<u>Class</u>	<u>Class</u>	<u>Exposures</u>	<u>Rate</u>	<u>Rate</u>	<u>Factor</u>	<u>Surcharge Impact</u>	<u>Surcharge Impact</u>
10078	Neurology - Including Child - No Surgery	3	3	18	8,272	8,272	1.20	0	0.0%
10079	Neurology - Including Child - No Surgery - All Other	3	3	15	8,272	8,272	1.20	0	0.0%
10080	Neurology - Including Child - No Surgery - Pain Management	3	3	13	8,272	8,272	1.20	0	0.0%
10093	Ophthalmology Surgery	3	3	53	8,272	8,272	1.20	0	0.0%
10095	Otology - Minor Surgery	3	3	0	8,272	8,272	1.20	0	0.0%
10102	Pathology - Blood Banking/Transfusion Medicine - Minor Surgery	3	3	0	8,272	8,272	1.20	0	0.0%
10104	Pathology - Cytopathology - Minor Surgery	3	3	0	8,272	8,272	1.20	0	0.0%
10106	Pathology - Minor Surgery	3	3	0	8,272	8,272	1.20	0	0.0%
10109	Pediatrics - Minor Surgery	3	3	51	8,272	8,272	1.20	0	0.0%
10113	Physical Medicine and Rehabilitation - Pain Management	3	3	7	8,272	8,272	1.20	0	0.0%
10115	Physicians - Minor Surgery - No Ob	3	3	18	8,272	8,272	1.20	0	0.0%
10124	Podiatrists/Chiropodists - No Surgery	3	3	0	8,272	8,272	1.20	0	0.0%
10139	Pulmonary Diseases - No Surgery	3	3	29	8,272	8,272	1.20	0	0.0%
10144	Radiology - Diagnostic - No Surgery	3	3	335	8,272	8,272	1.20	0	0.0%
10150	Rhinology - Minor Surgery	3	3	0	8,272	8,272	1.20	0	0.0%
10153	Sclerotherapy	3	3	0	8,272	8,272	1.20	0	0.0%
10164	Urgent Care - No Surgery - No Ob	3	3	27	8,272	8,272	1.20	0	0.0%
10009	Broncho-Esophagology	4A	4A	0	10,340	10,340	1.50	0	0.0%
10035	Gastroenterology - Minor Surgery	4A	4A	33	10,340	10,340	1.50	0	0.0%
10067	Lymphangiography / Phlebography	4A	4A	0	10,340	10,340	1.50	0	0.0%
10157	Sports Medicine - Minor Surgery	4A	4A	1	10,340	10,340	1.50	0	0.0%
10166	Urology - Minor Surgery	4A	4A	5	10,340	10,340	1.50	0	0.0%
10008	Angiography / Arteriography / Catheterization	4	4	2	12,409	12,409	1.80	0	0.0%
10011	Cardiovascular Disease - Minor Surgery	4	4	42	12,409	12,409	1.80	0	0.0%
10019	Cryosurgery	4	4	0	12,409	12,409	1.80	0	0.0%
10049	Gynecology - Minor Surgery (including 1st trimester abortions)	4	4	12	12,409	12,409	1.80	0	0.0%
10060	Intensive Care Medicine	4	4	35	12,409	12,409	1.80	0	0.0%
10061	Internal Medicine - Minor Surgery	4	4	14	12,409	12,409	1.80	0	0.0%
10070	Neonatal/Perinatal Medicine	4	4	24	12,409	12,409	1.80	0	0.0%
10074	Nephrology - Including Child - Minor Surgery	4	4	2	12,409	12,409	1.80	0	0.0%
10075	Nephrology - Minor Surgery	4	4	1	12,409	12,409	1.80	0	0.0%
10098	Otorhinolaryngology - Minor Surgery	4	4	4	12,409	12,409	1.80	0	0.0%
10148	Radiopaque Dye Injections	4	4	0	12,409	12,409	1.80	0	0.0%
10044	General/Family Practitioners - No Major Surgery - < 40 Non-High-Risk Deliveries Yearly	5A	5A	7	11,720	11,720	1.70	0	0.0%
10088	Oncology - Minor Surgery	5A	5A	3	11,720	11,720	1.70	0	0.0%
10142	Radiation Therapy / Lasers - Used in Therapy	5A	5A	9	11,720	11,720	1.70	0	0.0%
10146	Radiology - Therapeutic - Minor Surgery	5A	5A	2	11,720	11,720	1.70	0	0.0%
10029	Emergency Medicine - No Major Surgery	5	5	333	15,167	15,167	2.20	0	0.0%
10038	General Practice or Family Practice Surgery	5	5	37	15,167	15,167	2.20	0	0.0%
10045	General/Family Practitioners - No Major Surgery - High-Risk or > 40 Deliveries Yearly	5	5	14	15,167	15,167	2.20	0	0.0%
10143	Radiology - Diagnostic - Minor Surgery	5	5	51	15,167	15,167	2.20	0	0.0%
10145	Radiology - Interventional	5	5	6	15,167	15,167	2.20	0	0.0%
10165	Urological Surgery	5	5	22	15,167	15,167	2.20	0	0.0%
10017	Colon and Rectal Surgery	6	6	3	17,924	17,924	2.60	0	0.0%
10037	Gastroenterology Surgery	6	6	34	17,924	17,924	2.60	0	0.0%
10052	Hand Surgery	6	6	5	17,924	17,924	2.60	0	0.0%
10100	Otorhinolaryngology Surgery	6	6	15	17,924	17,924	2.60	0	0.0%
10004	Anesthesiology	7A	7A	17	20,682	20,682	3.00	0	0.0%
10005	Anesthesiology - All Other	7A	7A	42	20,682	20,682	3.00	0	0.0%
10006	Anesthesiology - Critical Care Medicine	7A	7A	0	20,682	20,682	3.00	0	0.0%
10028	Emergency Medicine - Including Major Surgery	7A	7A	36	20,682	20,682	3.00	0	0.0%
10053	Head and Neck Surgery	7A	7A	2	20,682	20,682	3.00	0	0.0%
10064	Laryngology Surgery	7A	7A	0	20,682	20,682	3.00	0	0.0%
10073	Neoplastic Surgery	7A	7A	0	20,682	20,682	3.00	0	0.0%
10077	Nephrology Surgery	7A	7A	0	20,682	20,682	3.00	0	0.0%
10097	Otology Surgery	7A	7A	1	20,682	20,682	3.00	0	0.0%
10152	Rhinology Surgery	7A	7A	0	20,682	20,682	3.00	0	0.0%
10161	Teaching Physicians or Surgeons - Major Surgery	7A	7A	0	20,682	20,682	3.00	0	0.0%
10122	Podiatrists - Surgery	7	7	0	24,129	24,129	3.50	0	0.0%
10010	Cardiac Surgery	8	8	11	32,745	32,745	4.75	0	0.0%
10048	Geriatrics Surgery	8	8	0	32,745	32,745	4.75	0	0.0%
10051	Gynecology Surgery	8	8	14	32,745	32,745	4.75	0	0.0%
10086	Obstetrics Surgery (c-sections only)	8	8	1	32,745	32,745	4.75	0	0.0%
10090	Oncology Surgery	8	8	4	32,745	32,745	4.75	0	0.0%
10108	Pediatric Surgery	8	8	12	32,745	32,745	4.75	0	0.0%
10120	Plastic Surgery	8	8	10	32,745	32,745	4.75	0	0.0%
10121	Plastic-otorhino-laryngology Surgery	8	8	3	32,745	32,745	4.75	0	0.0%
10000	Abdominal Surgery	9	9	0	39,640	39,640	5.75	0	0.0%
10013	Cardiovascular Disease Surgery	9	9	17	39,640	39,640	5.75	0	0.0%
10032	Endocrinology Surgery	9	9	1	39,640	39,640	5.75	0	0.0%
10043	General Surgery	9	9	116	39,640	39,640	5.75	0	0.0%
10094	Orthopedic Surgery	9	9	112	39,640	39,640	5.75	0	0.0%
10162	Thoracic Surgery	9	9	14	39,640	39,640	5.75	0	0.0%
10163	Traumatic Surgery	9	9	1	39,640	39,640	5.75	0	0.0%
10168	Vascular Surgery	9	9	7	39,640	39,640	5.75	0	0.0%
10081	Neurology Surgery - Including Child	10	10	10	44,809	44,809	6.50	0	0.0%
10085	Obstetrics Surgery / Gynecology Surgery	10	10	153	44,809	44,809	6.50	0	0.0%
Total Surcharge Impact								0	

New Mexico Patient's Compensation Fund

Review of Classification Factors by Assigned Class

Appendix 13

Page 1

Current Rate Factors Evaluated Over Proposed Class*							
Class	Current Factor	Patient Compensation Funds			NM Primary Carriers		Proposed Factor
		NM	IN	WI	TDC	MedPro	
1	0.75	0.75	0.86	1.08	0.75	0.74	0.75
2	1.00	1.00	1.16	1.50	0.93	0.94	1.00
3	1.20	1.20	1.49	1.62	1.10	1.30	1.20
4A	1.50	1.50	1.85	1.60	1.76	1.34	1.50
4	1.80	1.80	1.74	1.71	2.00	1.51	1.80
5A	1.70	1.70	1.50	1.80	1.12	1.23	1.70
5	2.20	2.20	1.95	1.80	2.28	1.93	2.20
6	2.60	2.60	2.94	2.90	2.01	2.54	2.60
7A	3.00	3.00	2.66	2.90	3.18	2.78	3.00
7	3.50	3.50	1.45	4.25	1.85		3.50
8	4.75	4.75	4.88	4.06	3.47	2.78	4.75
9	5.75	5.75	5.16	3.73	3.67	3.73	5.75
10	6.50	6.50	8.00	6.60	5.56	5.02	6.50

*Incorporates impact of changes in classification for physician classes

New Mexico Patient's Compensation Fund

Development of Relativities by Allied Class

Appendix 14

Page 1

NM Class			Relativity to Internal Medicine					Proposed	Indicated
			No Surgery - 80257						
			Patient Compensation Funds			NM Primary Carrier			
<u>Code</u>	<u>Description</u>	<u>Class</u>	<u>NM</u>	<u>IN</u>	<u>WI</u>	<u>TDC</u>	<u>MedPro</u>	<u>Factor</u>	<u>Change</u>
10015	Chiropractor	99	0.60	N/A	0.40	0.24	0.16	0.60	0.0%
10083	Nurse Anesthetists	CRNA	0.25	0.45	0.25	0.52	0.31	0.25	0.0%
10014	Certified Nurse Specialist/Certified Nurse Practitioner	CN	0.16	0.35	0.25	0.18	0.07	0.16	0.0%
10117	Physicians Assistants - Supervised by Non-Invasive Specialist	PA-1	0.34	0.35	0.20	0.27	0.24	0.34	0.0%
10119	Physicians Assistants - Supervised by Specialists Performing Minor Surgery	PA-2	0.45	0.35	0.20	0.27	0.36	0.45	0.0%
10118	Physicians Assistants - Supervised by Specialists Performing Major Surgery	PA-3	0.54	0.35	0.20	0.27	0.36	0.54	0.0%

New Mexico Patient's Compensation Fund

Surcharge Impact of New Relativities by Allied Class

Appendix 14

Page 2

NM Class				Current	Proposed	Current	Proposed	Indicated	% of
<u>Code</u>	<u>Description</u>	<u>Class</u>	<u>Exposures</u>	<u>Factor</u>	<u>Factor</u>	<u>Rate</u>	<u>Rate</u>	<u>Surcharge Impact</u>	<u>Surcharge Impact</u>
10015	Chiropractor	99	0	0.60	0.60	4,137	4,137	0	0.0%
10083	Nurse Anesthetists	CRNA	317	0.25	0.25	1,724	1,724	0	0.0%
10014	Certified Nurse Specialist/Certified Nurse Practitioner	CN	1066	0.16	0.16	1,104	1,104	0	0.0%
10117	Physicians Assistants - Supervised by Non-Invasive Specialist	PA-1	339	0.34	0.34	2,344	2,344	0	0.0%
10119	Physicians Assistants - Supervised by Specialists Performing Minor Surgery	PA-2	97	0.45	0.45	3,102	3,102	0	0.0%
10118	Physicians Assistants - Supervised by Specialists Performing Major Surgery	PA-3	147	0.54	0.54	3,723	3,723	0	0.0%
Total								0	

New Mexico Patient's Compensation Fund

Appendix 15

Entity Coverage Evaluation

NM Class				Indicated	Current	Proposed	Weighted	Estimated	Estimated	Estimated	% of
<u>Code</u>	<u>Description</u>	<u>Class</u>	<u>Exposures</u>	<u>Rate Per Provider</u>	<u>Surcharge</u>	<u>Rate per Provider</u>	<u>Average Provider Surcharge</u>	<u>Rate Per Provider</u>	<u>Surcharge</u>	<u>Surcharge Impact</u>	<u>Surcharge Impact</u>
			(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)	(9)
10116	Physicians and Surgeons - Corporate or Partnership Liability	51	565	\$4,794	\$2,708,608	10% of provider surcharge	\$13,413	\$1,341	\$757,819	\$0	0.0%
10123	Podiatrists/Chiropodists - Corporate or Partnership Liability	52	3	7,169	21,506	10% of provider surcharge	8,272	827	2,482	0	0.0%
10016	Chiropractors - Corporate or Partnership Liability	53	0		0	10% of provider surcharge	4,137	414	0	0	0.0%
				Total	\$2,730,114					Total	0
										0	0.0%

Notes

(1),(3),(4) Provided by New Mexico PCF

(2) Col (3) / Col (1)

(5) Weighted average of exposures and proposed rate on Exhibit 2 for physicians

For podiatrists/chiropodists and chiropractors, using actual Proposed rate

(6) Col (5) x 10% (note that actual rate will differ based on individual provider specialty)

(7) Col (1) x Col (6)

(8) Col (9) x Col (3)

(9) Based on overall Indicated Rate Change

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Allocation of Ultimate & Outstanding Losses by Hospital

Appendix 16

Page 1

Christus St. Vincent Hospital											
Accident Year	Hospital Surcharges	Load for Employer Provider Surcharges	Estimated Total Surcharges	Paid Losses	Paid Loss Ratio	% Total Surcharges	% Total Paid Losses	Selected	Allocated Reserves	Discounted Reserves	Selected Ultimate Losses
(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)	(9)	(10)	(11)	(12)
2009	565,000	0.625	918,297	2,075,000	226.0%	100.0%	100.0%	100.0%	0	0	2,075,000
2010	1,130,000	0.487	1,680,228	1,605,000	95.5%	100.0%	100.0%	100.0%	2,005	1,519	1,607,005
2011	1,152,600	0.583	1,825,004	2,547,500	139.6%	100.0%	100.0%	100.0%	2,547	1,931	2,550,048
2012	1,137,371	0.598	1,817,812	3,475,000	191.2%	100.0%	100.0%	100.0%	3,475	2,634	3,478,475
2013	1,174,771	0.696	1,992,604	2,607,237	130.8%	100.0%	100.0%	100.0%	15,656	15,531	2,622,894
2014	1,300,000	0.651	2,146,331	6,688,260	311.6%	100.0%	100.0%	100.0%	80,534	79,723	6,768,794
2015	1,350,000	0.648	2,224,828	4,504,980	202.5%	100.0%	97.3%	97.3%	121,292	119,874	4,626,272
2016	1,325,000	0.877	2,486,641	6,127,679	246.4%	42.0%	61.8%	61.8%	217,223	214,214	6,344,903
2017	1,375,000	0.877	2,580,476	682,500	26.4%	15.3%	3.6%	3.6%	34,378	33,746	716,878
2018	1,635,000	0.877	3,068,421	2,457,414	80.1%	9.9%	9.0%	9.1%	596,535	586,731	3,053,949
2019	1,820,000	0.877	3,415,612	141,875	4.2%	10.1%	0.7%	4.0%	642,034	636,575	783,909
2020	1,709,923	0.877	3,209,029	1,395,000	43.5%	9.4%	10.6%	10.0%	2,200,537	2,173,641	3,595,537
2021	1,599,979	0.877	3,002,696	1,411,139	47.0%	8.6%	13.2%	9.5%	3,127,994	3,081,889	4,539,133
2022	1,861,735	1.104	3,917,327	50,000	1.3%	11.3%	0.8%	10.3%	4,237,419	4,154,623	4,287,419
2023	2,436,431	1.104	5,126,560	0	0.0%	11.4%	0.0%	11.4%	6,528,249	6,361,761	6,528,249
2024	3,088,587	1.130	6,579,443	0	0.0%	10.9%	0.0%	10.9%	9,005,393	8,714,157	9,005,393
Total	24,661,396		45,991,308	35,768,585	77.8%	14.9%	27.7%		26,815,273	26,178,548	62,583,857

Column

(2), (3), (5)	Based on data provided by client
(4)	Col (2) x [1.0 + Col (3)]
(6)	Col (5) / Col (4)
(7)	Col (4) / Total Surcharges
(8)	Col (5) / Total Paid Losses
(9)	Judgmentally Selected based on columns Cols (7) & (8)
(10)	Col (9) x Undiscounted Reserves from Exhibit 1, Page 5
(11)	Col (10) x Discount Factors from Exhibit 1, Page 2
(12)	Col (5) + Col (10)

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Allocation of Ultimate & Outstanding Losses by Hospital

Appendix 16

Page 2

Accident Year	Community Health Systems										
	Hospital Surcharges	Load for Employer Provider Surcharges	Estimated Total Surcharges	Paid Losses	Paid Loss Ratio	% Total Surcharges	% Total Paid Losses	Selected	Allocated Reserves	Discounted Reserves	Selected Ultimate Losses
(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)	(9)	(10)	(11)	(12)
2009	0	0.178	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2010	0	0.178	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2011	0	0.178	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2012	0	0.178	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2013	0	0.178	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2014	0	0.178	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2015	0	0.178	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2016	851,834	0.178	1,003,413	1,425,000	142.0%	17.0%	14.4%	14.4%	50,516	49,816	1,475,516
2017	2,484,173	0.180	2,930,698	2,350,000	80.2%	17.3%	12.4%	12.4%	118,372	116,196	2,468,372
2018	2,549,394	0.184	3,018,407	3,001,604	99.4%	9.7%	11.0%	10.9%	713,234	701,512	3,714,837
2019	2,933,227	0.209	3,546,727	3,938,073	111.0%	10.5%	20.4%	17.0%	2,709,249	2,686,214	6,647,322
2020	3,696,474	0.227	4,534,267	1,567,956	34.6%	13.3%	11.9%	12.6%	2,773,203	2,739,307	4,341,159
2021	5,185,528	0.190	6,169,388	1,142,000	18.5%	17.7%	10.7%	16.3%	5,348,902	5,270,062	6,490,902
2022	6,351,059	0.035	6,575,251	1,735,000	26.4%	19.0%	27.3%	19.8%	8,184,280	8,024,365	9,919,280
2023	6,354,834	0.060	6,737,528	0	0.0%	15.0%	0.0%	15.0%	8,579,685	8,360,878	8,579,685
2024	8,012,301	0.127	9,030,056	0	0.0%	14.9%	0.0%	14.9%	12,359,587	11,959,876	12,359,587
Total	38,418,825		43,545,735	15,159,633	34.8%	14.1%	11.7%		40,837,027	39,908,224	55,996,659

Column

- (2), (3), (5) Based on data provided by client
(4) Col (2) x [1.0 + Col (3)]
(6) Col (5) / Col (4)
(7) Col (4) / Total Surcharges
(8) Col (5) / Total Paid Losses
(9) Judgmentally Selected based on columns Cols (7) & (8)
(10) Col (9) x Undiscounted Reserves from Exhibit 1, Page 5
(11) Col (10) x Discount Factors from Exhibit 1, Page 2
(12) Col (5) + Col (10)

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Allocation of Ultimate & Outstanding Losses by Hospital

Appendix 16

Page 3

LifePoint Health Group											
Accident Year	Hospital Surcharges	Load for Employer Provider Surcharges	Estimated Total Surcharges	Paid Losses	Paid Loss Ratio	% Total Surcharges	% Total Paid Losses	Selected	Allocated Reserves	Discounted Reserves	Selected Ultimate Losses
(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)	(9)	(10)	(11)	(12)
2009	0	0.472	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2010	0	0.472	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2011	0	0.472	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2012	0	0.472	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2013	0	0.472	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2014	0	0.472	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2015	0	0.472	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2016	578,804	0.472	851,759	0	0.0%	14.4%	0.0%	0.0%	0	0	0
2017	1,636,047	0.470	2,405,315	3,740,000	155.5%	14.2%	19.7%	19.7%	188,387	184,924	3,928,387
2018	1,579,852	0.464	2,313,680	0	0.0%	7.5%	0.0%	0.7%	48,850	48,047	48,850
2019	1,854,324	0.462	2,711,091	1,666,500	61.5%	8.0%	8.7%	8.4%	1,346,886	1,335,434	3,013,386
2020	1,750,203	0.470	2,573,587	932,956	36.3%	7.5%	7.1%	7.3%	1,609,885	1,590,208	2,542,841
2021	1,612,758	0.484	2,392,698	575,000	24.0%	6.9%	5.4%	6.6%	2,155,509	2,123,738	2,730,509
2022	1,995,133	0.445	2,883,428	1,392,300	48.3%	8.3%	21.9%	9.7%	3,998,925	3,920,788	5,391,225
2023	2,390,372	0.235	2,951,093	0	0.0%	6.6%	0.0%	6.6%	3,757,972	3,662,133	3,757,972
2024	3,107,049	0.347	4,183,733	0	0.0%	6.9%	0.0%	6.9%	5,726,344	5,541,153	5,726,344
Total	16,504,543		23,266,384	8,306,756	35.7%	7.5%	6.4%		18,832,759	18,406,426	27,139,515

Column

(2), (3), (5)	Based on data provided by client
(4)	Col (2) x [1.0 + Col (3)]
(6)	Col (5) / Col (4)
(7)	Col (4) / Total Surcharges
(8)	Col (5) / Total Paid Losses
(9)	Judgmentally Selected based on columns Cols (7) & (8)
(10)	Col (9) x Undiscounted Reserves from Exhibit 1, Page 5
(11)	Col (10) x Discount Factors from Exhibit 1, Page 2
(12)	Col (5) + Col (10)

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Allocation of Ultimate & Outstanding Losses by Hospital

Appendix 16

Page 4

Lovelace Health System LLC											
Accident Year	Hospital Surcharges	Load for Employer Provider Surcharges	Estimated Total Surcharges	Paid Losses	Paid Loss Ratio	% Total Surcharges	% Total Paid Losses	Selected	Allocated Reserves	Discounted Reserves	Selected Ultimate Losses
(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)	(9)	(10)	(11)	(12)
2009	0	0.343	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2010	0	0.343	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2011	0	0.343	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2012	0	0.343	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2013	0	0.343	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2014	0	0.343	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2015	0	0.343	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2016	836,900	0.343	1,123,617	814,167	72.5%	19.0%	8.2%	8.2%	28,862	28,462	843,029
2017	2,368,533	0.343	3,179,979	10,299,453	323.9%	18.8%	54.2%	54.2%	518,793	509,256	10,818,246
2018	2,249,428	0.343	3,020,069	10,406,629	344.6%	9.7%	38.2%	35.4%	2,315,611	2,277,553	12,722,240
2019	2,392,625	0.343	3,212,325	6,535,317	203.4%	9.5%	33.9%	25.4%	4,053,348	4,018,884	10,588,665
2020	2,791,008	0.343	3,747,191	990,000	26.4%	11.0%	7.5%	9.2%	2,036,889	2,011,993	3,026,889
2021	3,720,065	0.343	4,994,538	2,452,500	49.1%	14.3%	22.9%	16.1%	5,267,530	5,189,889	7,720,030
2022	2,652,787	0.145	3,037,924	1,539,286	50.7%	8.8%	24.2%	10.3%	4,260,176	4,176,935	5,799,462
2023	5,394,790	0.145	6,178,015	0	0.0%	13.7%	0.0%	13.7%	7,867,190	7,666,555	7,867,190
2024	5,177,635	0.233	6,383,516	0	0.0%	10.6%	0.0%	10.6%	8,737,225	8,454,662	8,737,225
Total	27,583,771		34,877,173	33,037,351	94.7%	11.3%	25.5%		35,085,624	34,334,189	68,122,976

Column

(2), (3), (5)	Based on data provided by client
(4)	Col (2) x [1.0 + Col (3)]
(6)	Col (5) / Col (4)
(7)	Col (4) / Total Surcharges
(8)	Col (5) / Total Paid Losses
(9)	Judgmentally Selected based on columns Cols (7) & (8)
(10)	Col (9) x Undiscounted Reserves from Exhibit 1, Page 5
(11)	Col (10) x Discount Factors from Exhibit 1, Page 2
(12)	Col (5) + Col (10)

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Allocation of Ultimate & Outstanding Losses by Hospital

Appendix 16

Page 5

Quorum Health Corporation											
Accident Year	Hospital Surcharges	Load for Employer Provider Surcharges	Estimated Total Surcharges	Paid Losses	Paid Loss Ratio	% Total Surcharges	% Total Paid Losses	Selected	Allocated Reserves	Discounted Reserves	Selected Ultimate Losses
(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)	(9)	(10)	(11)	(12)
2009	0	0.145	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2010	0	0.145	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2011	0	0.145	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2012	0	0.145	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2013	0	0.145	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2014	0	0.145	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2015	0	0.145	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2016	265,408	0.145	303,931	0	0.0%	5.1%	0.0%	0.0%	0	0	0
2017	783,373	0.148	899,570	0	0.0%	5.3%	0.0%	0.0%	0	0	0
2018	796,295	0.155	919,928	400,000	43.5%	3.0%	1.5%	1.6%	105,977	104,236	505,977
2019	891,291	0.157	1,030,901	750,000	72.8%	3.1%	3.9%	3.6%	574,828	569,941	1,324,828
2020	860,883	0.161	999,207	0	0.0%	2.9%	0.0%	1.5%	323,062	319,113	323,062
2021	699,687	0.167	816,631	0	0.0%	2.3%	0.0%	1.9%	615,303	606,234	615,303
2022	654,257	0.005	657,225	0	0.0%	1.9%	0.0%	1.7%	705,483	691,698	705,483
2023	721,639	0.011	729,302	0	0.0%	1.6%	0.0%	1.6%	928,706	905,021	928,706
2024	1,084,049	0.219	1,321,109	0	0.0%	2.2%	0.0%	2.2%	1,808,224	1,749,746	1,808,224
Total	6,756,880		7,677,805	1,150,000	15.0%	2.5%	0.9%		5,061,583	4,945,988	6,211,583

Column

(2), (3), (5)	Based on data provided by client
(4)	Col (2) x [1.0 + Col (3)]
(6)	Col (5) / Col (4)
(7)	Col (4) / Total Surcharges
(8)	Col (5) / Total Paid Losses
(9)	Judgmentally Selected based on columns Cols (7) & (8)
(10)	Col (9) x Undiscounted Reserves from Exhibit 1, Page 5
(11)	Col (10) x Discount Factors from Exhibit 1, Page 2
(12)	Col (5) + Col (10)

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Allocation of Ultimate & Outstanding Losses by Hospital

Appendix 16

Page 6

HealthSouth Corporation											
Accident Year	Hospital Surcharges	Load for Employer Provider Surcharges	Estimated Total Surcharges	Paid Losses	Paid Loss Ratio	% Total Surcharges	% Total Paid Losses	Selected	Allocated Reserves	Discounted Reserves	Selected Ultimate Losses
(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)	(9)	(10)	(11)	(12)
2009	0	0.000	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2010	0	0.000	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2011	0	0.000	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2012	0	0.000	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2013	0	0.000	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2014	0	0.000	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2015	0	0.000	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2016	69,377	0.000	69,377	1,550,000	2234.2%	1.2%	15.6%	15.6%	54,947	54,186	1,604,947
2017	185,142	0.000	185,142	175,000	94.5%	1.1%	0.9%	0.9%	8,815	8,653	183,815
2018	205,783	0.000	205,783	0	0.0%	0.7%	0.0%	0.1%	4,345	4,273	4,345
2019	339,028	0.000	339,028	0	0.0%	1.0%	0.0%	0.4%	56,139	55,662	56,139
2020	280,768	0.000	280,768	0	0.0%	0.8%	0.0%	0.4%	90,777	89,668	90,777
2021	156,600	0.000	156,600	0	0.0%	0.4%	0.0%	0.4%	117,992	116,253	117,992
2022	238,918	0.000	238,918	0	0.0%	0.7%	0.0%	0.6%	256,461	251,450	256,461
2023	267,446	0.000	267,446	0	0.0%	0.6%	0.0%	0.6%	340,570	331,885	340,570
2024	237,947	0.000	237,947	0	0.0%	0.4%	0.0%	0.4%	325,681	315,149	325,681
Total	1,981,008		1,981,008	1,725,000	87.1%	0.6%	1.3%		1,255,728	1,227,178	2,980,728

Column

(2), (3), (5)	Based on data provided by client
(4)	Col (2) x [1.0 + Col (3)]
(6)	Col (5) / Col (4)
(7)	Col (4) / Total Surcharges
(8)	Col (5) / Total Paid Losses
(9)	Judgmentally Selected based on columns Cols (7) & (8)
(10)	Col (9) x Undiscounted Reserves from Exhibit 1, Page 5
(11)	Col (10) x Discount Factors from Exhibit 1, Page 2
(12)	Col (5) + Col (10)

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Allocation of Ultimate & Outstanding Losses by Hospital

Appendix 16

Page 7

Otero County Hospital Association											
Accident Year	Hospital Surcharges	Load for Employer Provider Surcharges	Estimated Total Surcharges	Paid Losses	Paid Loss Ratio	% Total Surcharges	% Total Paid Losses	Selected	Allocated Reserves	Discounted Reserves	Selected Ultimate Losses
(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)	(9)	(10)	(11)	(12)
2009	0	0.229	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2010	0	0.229	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2011	0	0.229	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2012	0	0.229	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2013	0	0.229	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2014	0	0.229	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2015	0	0.229	0	125,000	0.0%	0.0%	2.7%	2.7%	3,366	3,326	128,366
2016	61,733	0.229	75,882	0	0.0%	1.3%	0.0%	0.0%	0	0	0
2017	226,634	0.229	278,580	1,600,000	574.3%	1.6%	8.4%	8.4%	80,593	79,112	1,680,593
2018	338,156	0.229	415,663	3,736,042	898.8%	1.3%	13.7%	12.5%	817,203	803,772	4,553,245
2019	372,906	0.229	458,378	307,619	67.1%	1.4%	1.6%	1.5%	241,657	239,602	549,276
2020	568,392	0.229	698,672	1,065,306	152.5%	2.0%	8.1%	5.1%	1,114,030	1,100,414	2,179,336
2021	1,017,375	0.229	1,250,564	837,098	66.9%	3.6%	7.8%	4.4%	1,455,717	1,434,261	2,292,815
2022	0	0.381	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2023	595,820	0.381	823,012	0	0.0%	1.8%	0.0%	1.8%	1,048,038	1,021,310	1,048,038
2024	1,686,712	0.794	3,026,162	0	0.0%	5.0%	0.0%	5.0%	4,141,958	4,008,006	4,141,958
Total	4,867,728		7,026,914	7,671,065	109.2%	2.3%	5.9%		8,902,561	8,689,802	16,573,626

Column

(2), (3), (5)	Based on data provided by client
(4)	Col (2) x [1.0 + Col (3)]
(6)	Col (5) / Col (4)
(7)	Col (4) / Total Surcharges
(8)	Col (5) / Total Paid Losses
(9)	Judgmentally Selected based on columns Cols (7) & (8)
(10)	Col (9) x Undiscounted Reserves from Exhibit 1, Page 5
(11)	Col (10) x Discount Factors from Exhibit 1, Page 2
(12)	Col (5) + Col (10)

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Allocation of Ultimate & Outstanding Losses by Hospital

Appendix 16

Page 8

Presbyterian Health Systems LLC											
Accident Year	Hospital Surcharges	Load for Employer Provider Surcharges	Estimated Total Surcharges	Paid Losses	Paid Loss Ratio	% Total Surcharges	% Total Paid Losses	Selected	Allocated Reserves	Discounted Reserves	Selected Ultimate Losses
(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)	(9)	(10)	(11)	(12)
2009	0	0.816	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2010	0	0.816	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2011	0	0.816	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2012	0	0.816	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2013	0	0.816	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2014	0	0.816	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2015	0	0.816	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2016	0	0.816	0	0	0.0%	0.0%	0.0%	0.0%	0	0	0
2017	2,441,225	0.816	4,433,016	169,684	3.8%	26.2%	0.9%	0.9%	8,547	8,390	178,231
2018	9,945,033	0.816	18,059,167	7,239,941	40.1%	58.2%	26.6%	29.7%	1,947,914	1,915,900	9,187,855
2019	10,485,433	0.816	19,040,480	5,925,085	31.1%	56.4%	30.8%	39.7%	6,345,502	6,291,550	12,270,587
2020	9,937,397	0.816	18,045,302	7,268,616	40.3%	52.9%	55.0%	54.0%	11,894,159	11,748,780	19,162,775
2021	8,843,545	0.816	16,058,977	4,282,088	26.7%	46.1%	40.0%	44.9%	14,726,436	14,509,376	19,008,524
2022	8,485,738	1.034	17,263,848	1,636,000	9.5%	49.9%	25.8%	47.5%	19,593,441	19,210,599	21,229,441
2023	10,894,433	1.034	22,164,230	0	0.0%	49.3%	0.0%	49.3%	28,224,312	27,504,512	28,224,312
2024	14,692,171	1.018	29,643,136	0	0.0%	49.1%	0.0%	49.1%	40,573,052	39,260,913	40,573,052
Total	75,724,973		144,708,155	26,521,414	18.3%	46.8%	20.5%		123,313,363	120,450,019	149,834,777

Column

(2), (3), (5)	Based on data provided by client
(4)	Col (2) x [1.0 + Col (3)]
(6)	Col (5) / Col (4)
(7)	Col (4) / Total Surcharges
(8)	Col (5) / Total Paid Losses
(9)	Judgmentally Selected based on columns Cols (7) & (8)
(10)	Col (9) x Undiscounted Reserves from Exhibit 1, Page 5
(11)	Col (10) x Discount Factors from Exhibit 1, Page 2
(12)	Col (5) + Col (10)

New Mexico Patients' Compensation Fund
Reserves as of 12/31/2024
Allocation of Ultimate & Outstanding Losses by Hospital

Appendix 16

Page 9

Accident Year	Hospital Surcharges	Load for Employer Provider Surcharges	Estimated Total Surcharges	Paid Losses	Paid Loss Ratio	All Hospitals					
						% Total Surcharges	% Total Paid Losses	Selected	Allocated Reserves	Discounted Reserves	Selected Ultimate Losses
(1)	(2)	(3)	(4)	(5)	(6)	(7)	(8)	(9)	(10)	(11)	(12)
2009	565,000	0.625	918,297	2,075,000	367.3%				0	0	2,075,000
2010	1,130,000	0.487	1,680,228	1,605,000	142.0%				2,005	1,519	1,607,005
2011	1,152,600	0.583	1,825,004	2,547,500	221.0%				2,547	1,931	2,550,048
2012	1,137,371	0.598	1,817,812	3,475,000	305.5%				3,475	2,634	3,478,475
2013	1,174,771	0.696	1,992,604	2,607,237	221.9%				15,656	15,531	2,622,894
2014	1,300,000	0.651	2,146,331	6,688,260	514.5%				80,534	79,723	6,768,794
2015	1,350,000	0.648	2,224,828	4,629,980	343.0%				124,658	123,200	4,754,638
2016	3,989,055	0.483	5,914,620	9,916,846	248.6%				351,548	346,677	10,268,394
2017	11,500,127	0.469	16,892,776	19,016,636	165.4%				957,886	940,276	19,974,522
2018	19,298,940	0.607	31,021,119	27,241,629	141.2%				6,549,669	6,442,023	33,791,297
2019	21,088,834	0.601	33,754,542	19,264,470	91.3%				15,969,642	15,833,861	35,234,112
2020	21,595,047	0.579	34,088,022	13,219,834	61.2%				22,042,543	21,773,124	35,262,377
2021	22,835,535	0.526	34,842,092	10,699,825	46.9%				32,815,384	32,331,702	43,515,208
2022	22,239,628	0.555	34,573,921	6,352,586	28.6%				41,236,185	40,430,457	47,588,771
2023	29,055,764	0.548	44,977,185	0	0.0%				57,274,722	55,814,054	57,274,722
2024	37,086,451	0.629	60,405,101	0	0.0%				82,677,466	80,003,663	82,677,466
Total	196,499,125		309,074,483	129,339,803	65.8%				260,103,918	254,140,375	389,443,721

Column

(2) - (12) Sum of Appendix 16, Page 1 through Appendix 16, Page 8